

VIA FACSIMILE AND FEDERAL EXPRESS

June 2, 2004

Information Quality Guidelines Office
Mail Code 28220T, U.S. E.P.A.
1200 Pennsylvania Avenue, N.W.
Washington, D.C. 20460

**Re: Request for Correction of Information and to Prevent EPA's
Approval of Air Credits and State Implementation Plan
Amendments that Violate EPA's Data Quality Guidelines**

Dear Information Quality Guidelines Staff:

This is a Request for Correction of Information and to prevent EPA's anticipated violation of federal law through approval of certain State Implementation Plan ("SIP") revisions. This request is submitted on behalf of the National Paint and Coatings Association ("NPCA") and The Sherwin-Williams Company ("Sherwin-Williams") (sometimes jointly referred to as "Petitioners"). Petitioners object to the approval and dissemination of important and influential information by EPA that is in violation of the Data Quality Act and fails to meet the criteria of EPA's "Guidelines for Ensuring and Maximizing the Quality, Objectivity, Utility and Integrity of Information Disseminated by the Environmental Protection Agency" (the "Guidelines").

Petitioners requested informal consultation of the issues identified herein with EPA Regions II and III and forwarded correspondence in this regard on April 16, 2004. See Exhibit 1. Petitioners legal counsel, E. Donald Elliott, also requested an informal consultation to discuss the data quality deficiencies with Walter Mugdan, Director, Region II, on April 13, 2004. In response thereto, Regions II and III have declined further informal consultation of the data quality issues presented in these communications. See Exhibit 2.

Sherwin-Williams is one of the three largest paint manufacturers in the world. Its product lines include some of the most widely recognized brands of AIM Coatings, including the Sherwin-Williams®, Minwax®, Thompson's®, Pratt & Lambert®, Martin Senour®, Rust Tough®, Dutch Boy®, Cuprinol®, and H&C®. The NPCA is the trade association for the paint and coatings industry, representing over 400 companies and accounting for 95% of the paint and coatings sold in the United States.

Background

The 13 Northeast and Mid-Atlantic states in EPA Regions I, II, and III, which make up the Ozone Transport Commission (“OTC”)¹, are in various stages of adopting regulations (the “Model Rule”) that severely limit the amount of volatile organic compounds (“VOCs”) in architectural and industrial maintenance (“AIM”) coatings. EPA Regions II and III are currently reviewing proposed SIP amendments for New York, Pennsylvania and Maryland. Publication has been made in the Federal Register² and the Regions are reviewing public comments. The AIM coatings are used in residences, commercial buildings, factories, industrial infrastructures and include common products such as house paint, wood stains and varnishes and traffic paint.. The state Model Rule regulations are considerably more stringent than the “National Rule” adopted in 1998 by EPA to limit the VOC content in AIM coatings. The OTC claims the new, more stringent Model Rule is necessary to help reduce ground-level ozone in the Northeast and Mid-Atlantic United States. The OTC states also claim that the passage of the Model Rule is necessary to meet their VOC emission reduction goals set by EPA for the areas in the Northeast Ozone Transport Region (OTR).

Under the Clean Air Act §183(e)(9), any State which proposes regulations to establish emission standards other than the federal standards for products regulated under federal rules must first consult with the EPA Administrator. The Administrator is charged with establishing a clearinghouse of information, studies, and regulations proposed and promulgated regarding products covered and shall “disseminate” such information collected.

The Dissemination of Information Through the SIP Approval Process

After adoption of the Model Rule, each state will file or has filed with an EPA region an amendment to its SIP requesting certain VOC emission reduction credits that are claimed to be based upon emission reduction calculations done by a private consultant to the OTC -- E.H. Pechan & Associates. Under §110(a) of the Clean Air Act (42 U.S.C. §7410(a)), EPA must approve (or reject) all amendments to a SIP based upon criteria set forth in the Clean Air Act and its regulations. In addition, EPA must review and approve, reject or modify the request by the state for the quantity of ozone credits submitted. This requires an analytical review by EPA and a process for approval, including: publication in the Federal Register, notification, a public comment period, and creation of a record for the review process.

This process of review and approval involves the “dissemination of information” to the public that falls under the scrutiny of EPA’s Data Quality Guidelines. Under the Guidelines, Section 5.3 states that “[I]nformation, for purposes of these Guidelines, generally includes any communication or representation of knowledge such as facts or data, in any medium or form.” The Section further states that:

“EPA initiates a distribution of information if EPA distributes information prepared or submitted by an outside party in a manner that reasonably suggests

¹ The Ozone Transportation Commission was established by Section 184 of the Clean Air Act, 42 U.S.C. §7511C.

² NY -- 69 Fed. Reg. 2557 (January 16, 2004); PA -- 69 Fed. Reg. 11580 (March 11, 2004); MD -- 69 Fed. Reg. 29674 (May 25, 2004).

that EPA endorses or agrees with it Agency-sponsored distribution includes instances where EPA reviews and comments on information distributed by an outside party in a manner that indicates EPA is endorsing it . . . , or otherwise **adopts** or endorses it.” (emphasis added).

The SIP amendment approval process and the granting of pollution credits involve the acceptance of data and scientific analysis, and EPA’s agreement with or endorsement of the data, its analysis and conclusions. A formal administrative record is created as part of the SIP review process whereby information is disseminated to the public. These acts by EPA fall squarely within the coverage of the Guidelines.³

Furthermore, pursuant to the Clean Air Act, the EPA is charged with establishing a clearinghouse of information and to “disseminate” that information. See § 183(e)(9). It is beyond cavil that such dissemination of information is precisely the type of information which is to be regulated under the Guidelines. With the inclusion of the Model Rule in the clearinghouse of information, EPA is approving and disseminating erroneous data. This must be corrected.

The Flawed Disseminated Data

The basis for the proposed SIP revisions (which is essentially OTC’s Model Rule) and the claim for credits is a report prepared by E.H. Pechan & Associates (“Pechan”) in 2001. Pechan used the results of two separate, unrepresentative and questionable surveys conducted in the early 1990s. Pechan used a spreadsheet (the “Spreadsheet”) which was created to demonstrate the calculated emission reductions from each coating category at various VOC limits. The Spreadsheet contains data quality problems so significant that it fails EPA’s data quality standards.

These data flaws are enumerated and identified in the sworn testimony of Madelyn K. Harding, a corporate manager of product compliance with Sherwin-Williams, before the Maryland Department of the Environment in its hearing on Maryland’s version of the Model Rule on January 28, 2004. A copy of the transcript from that hearing which specifically identifies the flawed data analysis is attached as **Exhibit 3**. The exhibits that Ms. Harding presented at that hearing showing the actual flaws are attached as **Exhibits 4** and **5**.

Ms. Harding demonstrates that the emission reductions shown in the Spreadsheet are in obvious error. Among other problems with the Spreadsheet, she points to many instances where: (1) when VOCs are increased in a product, the emissions decrease; (2) where a slight increase in a limit produces an absurdly large reduction; and (3) introducing a limit results in a **negative** emission reduction. All of these defy logic, scientific method and accepted statistical methodology. See, **Exhibit 3** at pp. 28-33.

In one of the many examples of these errors in the Spreadsheet, under the category “primers,” when the VOC upper limit is increased from 200 to 250 (under the constant solids assumption), according to the Spreadsheet there will be a two-fold increase in emission reductions, from 9,999,800 pounds per year to 18,452,542 pounds per year. This is an obvious

³ The SIP approval process clearly is not one of the types of activities excepted from the Guidelines under §5.4.

error in the data. If you increase a limit, there should logically be **less** emission savings, not more! In other examples, **negative** emission reductions appear throughout the Spreadsheet. See, quick-dry primers (SB) at 300 limit; opaque stains (WB) at 50, 100 and 250 limits; and sealers (WB) at 200 and 250 limits, for example. These cannot logically be. These are substantial flaws and cannot be ignored. All attempts to correct these errors and find the source of the flaws have failed. The flaws are irreconcilable.

The Data Is Not Reproducible and The Methodology Is Not Transparent

In an attempt to reconcile and correct these substantial and serious data errors, the Petitioners have attempted to obtain the original survey data from the individual who prepared the 1991 Industry Insites Survey. The Petitioners learned that the data is not available for various reasons, including record keeping issues. All attempts to reproduce the erroneous numbers in the Spreadsheet have failed.

Obtaining the raw survey data would have enabled Petitioners to investigate the errors and possibly correct them. It would also have answered other questions regarding the objectivity, quality and utility of the data in the Spreadsheet. For example, since the surveys were voluntary, obtaining the underlying data would tell which kind of companies responded. The larger companies produce more waterborne products. If the responses were primarily submitted from the larger companies, the survey would be biased and under-predict the amount of VOCs produced. However, we do not know which companies responded or whether the Spreadsheet needs further adjustment to reflect “real world” conditions.

In OMB’s Guidelines for Ensuring and Maximizing the Quality, Objectivity, Utility and Integrity of Information Disseminated by Federal Agencies⁴ (the “OMB Guidelines”) each federal agency responsible for disseminating influential scientific, financial or statistical information shall include a high degree of “transparency” about the data and methods to facilitate the reproducibility of such information by qualified third parties. “Reproducibility” of data is an indication of transparency according to the OMB Guidelines.⁵

With regard to analytical results, as in the calculation of ozone credits, OMB Guidelines state that guidelines “shall generally require sufficient transparency about data and methods that an independent reanalysis could be undertaken by a qualified member of the public.”⁶ The OMB Guidelines rely heavily on peer review as a means of ensuring high quality data. There is a strong presumption in favor of peer-reviewed information in the OMB Guidelines by noting that “[I]f data and analytic results have been subjected to formal, independent, external peer review the information may generally be presumed to be of acceptable objectivity.” Id. at 377. The peer review safeguards enacted by OMB are absent in the state AIM rules. There is no peer review of the Pechan report whatsoever.

As an example that appropriate peer review would have identified the data quality problems inherent in the Pechan report, the Petitioners hired an eminently qualified member of

⁴ 67 Fed. Reg. 8452 (January 3, 2002).

⁵ Id. at 8460.

⁶ Id.

the public, Douglas Splitstone, an advisor to the EPA on data quality issues. Mr. Splitstone was hired as an expert consultant for this matter specifically to review the underlying quality of the data upon which the OTC relied for its Model Rule because of the problems with the data noticed by Ms. Harding.

Mr. Splitstone has been a consultant to the EPA's Science Advisory Board and consulted with EPA on the implementation of EPA's data quality Guidelines. Mr. Splitstone's analysis demonstrates that the Model Rule fails to meet the data quality criteria required of EPA for utilizing and disseminating data. Mr. Splitstone notes in his report (a copy of which is attached hereto as **Exhibit 6**), that the actual numbers in the Spreadsheet used to determine the emission reductions for each category cannot be reproduced and do not follow the required logical progression. He confirmed the Ms. Harding's findings and the flaws in the Spreadsheet. Mr. Splitstone shows that the figures in the Spreadsheet defy logic. He highlights many examples in which the proper values in the Spreadsheet, when aggregated, do not total the actual estimated emissions in the Spreadsheet, as they logically should. Mr. Splitstone concludes that the OTC's proposal does not meet EPA data quality standards and must be rejected. Mr. Splitstone's report and credentials were filed, and are official parts of the record of proceedings before the Maryland Department of the Environment in "Proposed New Regulations .01-.14 Under A New Chapter, COMAR 26.11.33, Architectural Coatings," January 28, 2004. Mr. Splitstone's report and credentials are attached hereto as **Exhibits 6 and 7**, respectively.

The Spreadsheet and its flaws are not "reproducible," and are not based upon "transparent" logic, as required by the OMB and EPA Guidelines. Mr. Splitstone has given his sworn testimony and written opinion of the lack of compliance of the Model Rule with OMB's and EPA's data quality requirements. His testimony before the Maryland Department of the Environment at the hearing on Maryland's AIM rules on January 28, 2004 is attached as **Exhibit 3**.

The Results of the Error

In its simplest terms, EPA's granting of credits to the states for adoption of the Model Rule is based upon data that is in error and fails to meet the Guidelines' criteria for objectivity, quality and utility. The result is that the states are receiving far fewer credits than those to which they are entitled. Pechan's analysis of the flawed data relied upon for the determination of credits claims that the adoption of the Model Rule will result in a 31% reduction in VOC emissions. In fact, if Pechan had used the available, supportable data, the states adopting the Model Rule would receive considerably more credits based upon a 54% or greater reduction in emissions.

The Record For Review Violates the Guidelines

Each state is using the Pechan Report as the basis of its calculations for its rulemaking. The Pechan Report relied entirely on the Spreadsheet information to calculate and draw conclusions regarding how much emission savings would occur from the adoption of the Model Rule.

The record being created by the Regions for their SIP review process contains documents that reference the Pechan Report's analysis or are based upon Pechan's analysis of the Spreadsheet data. One particular focus in the Guidelines is on the integrity of the data relied upon by federal agencies to generate a decision. In all cases, the information the Regions must rely upon to determine that the calculation by the states of their requested credits must be correct and accurate. This information must meet the criteria in the Guidelines.

Certainly the only manner in which EPA can legitimately evaluate whether the Guidelines are met is when the data itself is subjected to scrutiny. All of the data on which the SIP amendments are based, including the Pechan Report and the Spreadsheet would have to be provided by the submitting states to EPA in order for the EPA to evaluate whether the information complied with the Guidelines. If the underlying data (Spreadsheet and Pechan analysis) is not provided by the states in the SIP review record, EPA cannot conduct a legitimate review because EPA will not be able to determine how the states calculated their requested credits and whether the methodology was appropriate.

Approving SIP amendments without sufficient documentation and information in the record to support the approval violates both the DQA and the federal Administrative Procedures Act ("APA"). It violates the DQA through the EPA Guidelines because the Region cannot reproduce and scrutinize the methods and data used by the states to arrive at their requested credits. This violates the "objectivity" standard, which requires transparency in the methodology so that the information can be reproduced and checked for accuracy. There is no way EPA can check the accuracy of the data being disseminated from the SIP amendment records in its possession.

The APA requires agency decisions of this nature to be supported by sufficient documentation in the record. As stated, EPA cannot scrutinize or render any rational conclusions about the correctness of the calculations of the credits being requested. They also cannot scrutinize the data that was utilized by the states to see if it meets Guideline standards. EPA must conduct that scrutiny because it will disseminate to the public at the end of the SIP amendment review process a decision approving or rejecting the amendment. How can it make a rational decision without having and scrutinizing the underlying information? It cannot. That is because they do not have in the record sufficient information to make this decision. This seems particularly true in light of the grave deficiencies that have been demonstrated to exist with the Pechan Report's analysis upon which the Regions exclusively rely for their calculations of VOC emission reductions.

Both the import of these regulations, and the potential impact on consumers and industry, warrant EPA initiating its peer review process. The peer review process has recently gained more focus from the OMB, indicating that it has been under-utilized by agencies generally. Such a review would confirm that the Pechan study did not utilize information that meets the qualitative criteria in the Guidelines. Therefore, we are also submitting to OMB a request for peer review of the OTC Model Rule for VOCs for AIM Coatings as a highly influential scientific assessment under OMB's Information Quality Bulletin for Peer Review. See Exhibit 8.

**These Data and Analytic Errors Can Be Corrected by Utilizing
Another More Reliable Methodology to Calculate Emission Reductions**

Because of the flaws in the data, Ms. Harding investigated whether there was a source of more reliable data that met EPA Guidelines criteria. She looked at the data from surveys in California by the California Air Resources Board ("CARB") where periodic, mandatory, representative surveys have been conducted for decades. Mr. Splitstone reviewed the California surveys and the methodology used to conduct the surveys. He found them to be a much more reliable source of data for determining AIM rule emission reductions than the Insights Surveys. See, Splitstone Report, **Exhibit 6**.

These California surveys are the best, most reliable sources of AIM coatings VOC data anywhere. As Mr. Splitstone states in his report, responding to the surveys is mandatory in California, unlike the surveys used for the Spreadsheet. The California surveys are periodically conducted so that the most recent data can be used. The CARB also retains the survey data so that any analysis will be transparent and reproducible. The CARB survey data is unbiased since all sources must respond. There is also follow-up to nonresponders. Clearly, the quality of the CARB data compared to the Spreadsheet data is objectively of better quality and passes muster under the DQA while that of the Spreadsheet does not. Why Pechan did not use the CARB survey data is not known, but it should have been at the very least part of a sensitivity analysis or other method to check if its conclusions made sense. Conducting a sensitivity analysis and other scrutiny of scientific conclusions, especially when they involve calculations, is standard procedure for data analysis, and it was not done by Pechan, the OTC staff, or any of the states in adopting the Model Rule.

Because of the quality of the CARB survey data, Ms. Harding used the findings from CARB's analysis of its surveys, adjusted for the OTC rule limits, and found that the results were quite different from Pechan's analysis. The overall VOC emission reductions from this method were considerably more than estimated by Pechan. Pechan estimated the VOC emission reduction from the OTC AIM Model Rule to be 31% from the National AIM Rule. Using information from the California survey data and CARB analysis, adjusted for conditions in the Northeast and Mid-Atlantic states, an actual VOC emission reduction of 54% would be expected.

This was calculated simply by taking CARB's estimate of the total number of pounds per year per person in VOCs that will be emitted from AIM coatings after the adoption of California's equivalent to the Model Rule, which is 2.48 lbs. (see **Exhibit 9**) and first adjusting it for the industrial maintenance limit difference between California and the OTC states. That would bring the per capita emission up slightly to 2.51 lbs. To determine the total emissions per person in a state after the adoption of the Model Rule one would then multiply the 2.51 lbs. per person times the population of the state or area affected. Pechan reported that before the adoption of the Model Rule the per capita emissions in the OTC region was 5.36 lbs. The reduction in emissions per person after the adoption of the Model Rule would be 2.85 lbs (5.36 minus 2.51 = 2.85). This results in a 53% reduction in emissions after the adoption of the Model Rule (2.85 divided by 5.36 = .53). See **Exhibit 3** at pp. 33-38; see also **Exhibit 6** and **Exhibit 9**.

This further demonstrates the unreliability of Pechan's analysis and conclusions. Pechan's conclusions cannot be verified for accuracy by checking them against the most reliable and complete source of AIM information and data -- the California surveys.

Mr. Splitstone reviewed Ms. Harding's methodology and underlying data and concluded that it meets EPA Guidelines and generally accepted statistical methods. Unlike the flawed and incomplete surveys used by Pechan, the use of which Mr. Splitstone is quite critical, Mr. Splitstone concludes that the use of the California survey data was supportable and a reliable method for estimating actual emission reductions as a result of the adoption of the Model Rule. See Exhibit 3 at 47; see also Exhibit 6.

Petitioners and the Citizens are Directly and Adversely Affected

This failure to give proper credit to the OTC states directly and adversely affects the Petitioners because the regulations require the reduction of VOCs to the point where some popular products with no suitable substitutes will fail to perform for their intended use. If the proper data were used and calculated, it would calculate significantly higher emission reductions. This would allow the subject products to meet performance standards for which they were intended.

For example, interior solvent-based wood stains would have VOC limits so low under the Model Rule that they will not meet application, handling and performance standards for many of their intended uses. Waterborne substitutes do not perform well, and have problems of grain-raising and lapping, among others. In effect, the citizens in the OTR (approximately one-quarter of the U.S. population) will not be able to stain large areas of fine interior wood surfaces, except with waterborne, high-solids or exempt solvent formulas that are either completely unfit for such uses or present increased health or safety risks.

Conclusion

In conclusion, the SIP revisions are based upon data that EPA cannot accept under the Data Quality Act and EPA's formally adopted Guidelines. The states conducted no independent peer review of the data itself. They relied entirely upon the OTC and Pechan's flawed data and analysis. It has been demonstrated by sworn testimony in state administrative proceedings that the OTC method and data are wrong and that there are other, more reliable sources of data to estimate properly the actual emission savings from the SIP revisions. Bad science leads to bad rules. Bad rules hurt everyone. The record in the SIP amendments submitted to Regions II and III should be ordered to be corrected, and if not, the SIP amendments and request for credits should be rejected.

Sincerely,



E. Donald Elliott

cc: Kimberly Nelson, Assistant Administrator and Chief Information Officer, OEI
Jeffrey Holmstead, Assistant Administrator, Office of Air and Radiation
Anne Klee, Acting General Counsel, Office of General Counsel
Paul Noe, Office of Management and Budget
Jane Kenny, Regional Administrator, Region II
Donald Welsh, Regional Administrator, Region III
Kenneth von Schaumburg, Acting Deputy General Counsel, OGC
William Wehrum, Counsel to the Assistant Administrator, OAR
Karl Mazza, Science Advisor, OAR
Walter Mugdan, Director, DEPP, Region II
Raymond Werner, Chief, Air Programs Branch, Region II
Makeba Morris, Chief, Air Quality Planning Branch, Region III

EXHIBIT 1

WILLKIE FARR & GALLAGHER_{LLP}

E. DONALD ELLIOTT
202 303 1120
delliott@willkie.com

1875 K Street, NW
Washington, DC 20006-1238
Tel: 202 303 1000
Fax: 202 303 2000

April 16, 2004

VIA FACSIMILE & U.S. MAIL

Ms. Makeba Morris
Chief, Air Quality Planning Branch
Mailcode 3AP21
United States Environmental Protection Agency
Region 3
1650 Arch Street
Philadelphia, PA 19103

Mr. Raymond Werner
Chief, Air Programs Branch
United States Environmental Protection Agency
Region 2
290 Broadway
25th Floor
New York, NY 10007

Re: Proposal to Approve Revisions to the Pennsylvania and New York State
Implementation Plan, Control of Volatile Organic Compound Emissions from AIM
Coatings

Dear Ms. Makeba and Mr. Werner:

This letter is submitted, on behalf of The Sherwin-Williams Company ("Sherwin-Williams"), as a supplement to the record for the State Implementation Plan ("SIP") revisions being proposed by Regions 2 and 3 concerning additional control of volatile organic compounds through the various Architectural and Industrial Maintenance ("AIM") Coatings rules.¹ This letter serves as further support for our position that the SIP revisions are based on data that have not been disclosed and are not part of EPA's rulemaking records and, therefore, pursuant to the Administrative Procedures Act ("APA"), 5 U.S.C. § 553(c), the agency must reopen the records and provide opportunity for comment on the data underlying the States' SIP revisions. We request a meeting to discuss this issue with your staff. Further, because these proposed SIP revisions involve common issues currently before several

¹ The revision to the Pennsylvania SIP was proposed on March 11, 2004. 69 Fed. Reg. 11,580. The revision to the New York SIP was proposed on January 16, 2004. 69 Fed. Reg. 2557.

April 16, 2004

Page 2

regions, Sherwin-Williams will be requesting a meeting with the EPA Office of Air and Radiation ("OAR").

The rulemaking records for the AIM rules do not provide adequate notice of the factual and scientific bases for the proposed rules as required under the APA, 5 U.S.C. § 553(c). The SIP revisions are based on data that have not been disclosed and are not part of EPA's rulemaking records. Therefore, there has not been adequate opportunity for notice and comment. This failure of adequate notice is particularly true when, as here, the conclusions reached by the State differ from conclusions drawn from other sets of data, as discussed in our comments submitted to Region 2 on February 17, 2004, Letter from Randall M. Lutz, submitted on behalf of Sherwin-Williams, to Mr. Raymond Werner, Re: Proposal to Approve Revision to the New York State Implementation Plan (1-Hour Ozone Attainment Demonstration SIP), 69 Fed. Reg. 2557, and to Region 3 on April 12, 2004, Letter from John W. Carroll, submitted on behalf of Sherwin Williams, to Ms. Makeba Morris, Re: Proposal to Approve Revision to the Pennsylvania State Implementation Plan, Control of Volatile Organic Compound Emissions From AIM Coatings, 69 Fed. Reg. 11580, March 11, 2004. For example, in *Endangered Species Comm. v. Babbitt*, 852 F. Supp. 32, 37 (D.D.C. 1994), the court recognized that where different analyses reach different conclusions and reason exists to doubt the validity of the study on which the Agency relies, that Agency must make the underlying data available to interested parties.

Under Section 553(c) of the APA, 5 U.S.C. § 553(c), an agency must provide adequate notice to interested persons to permit them to comment on a proposed rule. Appellate courts have expanded the concept of adequate notice under the APA to encompass notice of the factual and scientific bases for a proposed rule by requiring that both the essential factual data on which a rule is based and the methodology used in reasoning from the data to the proposed standard be disclosed for comment at the time a rule is proposed. *See, e.g., Portland Cement Ass'n v. Ruckelshaus*, 486 F.2d 375, 393 (D.C. Cir. 1973) *cert denied*, 417 U.S. 921, 933 (1974) ("It is not consonant with the purpose of a rulemaking proceeding to promulgate rules on the basis of inadequate data, or on data that, [to a] critical degree, is known only to the agency."); *United States v. Nova Scotia Food Prods.*, 568 F.2d 240 (2d Cir. 1977) ("To suppress meaningful comment by failure to disclose the basic data relied upon is akin to rejecting comment altogether.").

In conclusion, the SIP revisions are based on data that have not been disclosed and are not part of EPA's rulemaking records. Therefore, EPA should reopen the records and provide opportunity for comment on the data underlying the States' SIP revisions.

Sincerely,



E. Donald Elliott

cc: Jeffrey R. Holmstead, Assistant Administrator for Air and Radiation, EPA
Steve Page, Director, Office of Air Quality Planning and Standards, EPA
Lydia Wegman, Director, Air Quality Strategies and Standards Division, OAQPS, EPA

EXHIBIT 2



UNITED STATES ENVIRONMENTAL PROTECTION AGENCY
REGION 2
290 BROADWAY
NEW YORK, NY 10007-1866

MAY 13 2004

E. Donald Elliott, Esq.
Wilkie Farr & Gallagher, LLP
1875 K Street, NW
Washington, DC 20006-1238

Dear Mr. Elliott:

This is in reply to your letter of April 16, 2004 addressed to me and to Ms. Makeba Morris, Chief of the Air Quality Planning Branch in Region 3 of the U.S. Environmental Protection Agency (EPA).

On behalf of the Sherwin-Williams Company (SW) you asked for a meeting with our two Regional offices and with the Office of Air and Radiation (OAR) at EPA Headquarters. The purpose of the requested meeting would be to discuss further SW's concerns about federal rulemaking with respect to promulgation by several states of the Architectural and Industrial Maintenance (AIM) coatings rules. We have considered your request carefully, and have decided not to schedule a meeting at this time.

As you know, in Region 2 the public comment period on the proposed approval of the New York AIM rule as part of its State Implementation Plan (SIP) closed prior to the date of your letter. In Region 3, the public comment period on the proposed approval of the Pennsylvania AIM rule as part of its SIP also closed prior to the date of your letter. Final action on both proposals is currently pending.

Under these circumstances, we believe that a written submission from SW would be a more appropriate means for the company to bring to our attention any new or additional information beyond that already provided in its extensive written comments submitted during the public comment period.

Although any such further written submission would be untimely submitted, it would be within our discretion to consider it.

Sincerely,

A handwritten signature in cursive script, appearing to read "Raymond Werner".

Raymond Werner
Chief, Air Programs Branch

cc: Makeba Morris, EPA Region 3
Jeffrey R. Holmstead, EPA-OA
Steve Page, EPA OAQPS
Lydia Wegman, EPA OAQPS

EXHIBIT 3

MARYLAND DEPARTMENT OF THE ENVIRONMENT

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22

Re:)
PROPOSED NEW REGULATIONS .01-.14)
UNDER A NEW CHAPTER COMAR 26.11.33)
ARCHITECTURAL COATINGS)

- - - - -

The hearing in the above-entitled matter commenced on Wednesday, January 28, 2004, commencing at 10:34 a.m., at the Maryland Department of the Environment, Aqua Conference Room, 1800 Washington Boulevard, Baltimore, Maryland, 21230-1720.

Reported and Transcribed by: Deborah Turner, CVR

For The Record, Inc.
Washington Metro (301)870-8025
Outer Maryland (800)921-5555

C O N T E N T S

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22

On Behalf of the Maryland Department of the Environment:

DEBORAH RABIN, REGULATIONS COORDINATOR

Air and Radiation Management Division

Maryland Department of the Environment

1800 Washington Boulevard, Suite 730

Baltimore, Maryland 21230 -1720

410-537-4414

For The Record, Inc.
Washington Metro (301)870-8025
Outer Maryland (800)921-5555

P R O C E E D I N G S

1
2
3 MS. RABIN: Good morning. On behalf of the
4 Department of the Environment and the Air and Radiation
5 Management Administration, I would like to welcome you to
6 this public hearing.

7 My name is Deborah Rabin and I am the Regulations
8 Coordinator for the Air and Radiation Management
9 Administration. I will serve as hearing officer for
10 today's hearing.

11 I would like to ask all of you in attendance today
12 to please sign in, if you haven't already done so. This
13 will help us to keep an accurate record of the people who
14 participate in the hearing. Also, copies of our regulation
15 proposal, support documents, and the Department's statement
16 are available on the table for your information.

17 This hearing concerns air quality regulations
18 found in the Code of Maryland Regulations, Title 26,
19 Subtitle 11 Air Quality. The Secretary of the Department
20 proposes to adopt new regulations .01 through .14 under a
21 new chapter COMAR 26.11.33 Architectural Coatings.

22 The purpose of this hearing is to give you the

For The Record, Inc.
Washington Metro (301) 870-8025
Outer Maryland (800) 921-5555

1 opportunity to comment on this action. The opportunity for
2 public comment for this proposed action appeared in the
3 Maryland Register, Volume 30, Issue 26, Pages 1944 through
4 1954 on December 26th, 2003.

5 For the record, I'd like to make a change in the
6 close of the comment period. We will close the comment
7 period on Monday, February 2nd, close of business.

8 The hearing will proceed in the following order.
9 First, Mr. Parker Dean will make a statement on behalf of
10 the Air and Radiation Management Administration. After Mr.
11 Dean is finished, I will call on any elected official or
12 government official who wants to make a statement. Then, I
13 will call upon anyone else who indicated on the sign-in
14 sheet that he or she would like to make a statement.

15 When giving your statement, please come up front,
16 identify yourself and your affiliation and give your
17 statement loudly and clearly. Are there any questions? I
18 will now call on Parker Dean.

19 MR. DEAN: My name is Parker Dean. I am Chief of
20 the Regulation Development Division of the Air and
21 Radiation Management Administration, Department of the
22 Environment.

For The Record, Inc.
Washington Metro (301)870-8025
Outer Maryland (800)921-5555

1 This public hearing is being held pursuant to the
2 requirements of 40 CFR Section 51.102 and Sections 2-301 of
3 the Environment Article, Annotated Code of Maryland. It is
4 also being held in conformance with the State
5 Administrative Procedures Act under the State Government
6 Article, beginning at Section 10-101.

7 Notice of this hearing appeared in the Maryland
8 Register, the Baltimore Sun, St. Mary's Enterprise,
9 Cumberland Times-News, Frederick News-Post and Salisbury
10 Daily Times on December 26th, 2003 and the Washington Post
11 on December 18th, 2003. Copies of these notices were
12 submitted for the record.

13 Copies of the proposed new regulations and
14 supporting documents were submitted for review to the State
15 Clearinghouse and are also submitted at this time into the
16 hearing record. Copies of the proposed regulations and
17 supporting documents were made available for public
18 inspection at the Air and Radiation Management
19 Administration offices in Baltimore, Cumberland and
20 Salisbury, and at all local health departments or local air
21 quality control offices.

22 The purpose of today's hearing is to give the

For The Record, Inc.
Washington Metro (301)870-8025
Outer Maryland (800)921-5555

1 public an opportunity to comment on proposed new
2 regulations, .01 through .14 under a new chapter of COMAR
3 26.11.33 Architectural Coatings.

4 The purpose of this rule is to reduce volatile
5 organic compound emissions from architectural and
6 industrial coating products used in Maryland in order to
7 address shortfalls in achieving the one-hour ozone standard
8 by 2005.

9 In December 1999 the United States Environmental
10 Protection Agency informed Maryland and several other
11 Northeastern and Mid-Atlantic states of the Ozone Transport
12 Region that their air quality plans did not provide for
13 emission reductions sufficient to obtain the one-hour ozone
14 standard by 2005.

15 Maryland must promulgate measures that will
16 achieve reductions of at least 13 tons per day of volatile
17 organic compounds in the Baltimore nonattainment area. EPA
18 stated that it would grant additional time to implement new
19 measures if those states pursued regional strategies to
20 control ozone and its precursors. In response to this EPA
21 mandate the Ozone Transport Commission developed several
22 VOC reduction measures that were formerly supported by the

For The Record, Inc.
Washington Metro (301)870-8025
Outer Maryland (800)921-5555

1 OTC commissioners in March 2001.

2 Today's proposed action has been based on a
3 regionally developed model rule prepared by a state-led
4 workgroup of the OTC for AIM coatings, the cornerstone of
5 which was existing rules developed by the California Air
6 Resources Board.

7 In developing the OTC model the workgroup analyzed
8 and modified the CARB rule to address VOC reductions in the
9 OTR, the Ozone Transport Region. The workgroup conducted
10 an extensive review of both the CARB record and other
11 information and determined that the coating limits in the
12 OTC model rule were viable with compliant products already
13 on the market.

14 The Maryland Department of the Environment has
15 completed a state version of the rule based on the
16 provisions of the OTC model rule.

17 Additionally, in January 2003 EPA changed the
18 nonattainment status of the Washington nonattainment area.
19 Accordingly, this AIM proposal is also a necessary part of
20 the Washington area state implementation plan as the
21 nonattainment status changed from serious to severe.

22 The proposed rule sets specific VOC content limits

For The Record, Inc.
Washington Metro (301)870-8025
Outer Maryland (800)921-5555

1 in grams per liter for 46 AIM coating categories. It
2 require compliance with the limits by January 1st, 2005.
3 In most cases these limits are more stringent than existing
4 federal AIM rules adopted by EPA in 1998.

5 Compliance with these new limits would be achieved
6 through either reformulating products or substituting
7 products with complying coatings that exist on the market
8 today. It should be noted that a substantial number of
9 coatings exist that comply with the VOC content limits for
10 each proposed category.

11 Therefore, while some product manufacturers may
12 need to reformulate in order to comply with the VOC limits
13 the OTC model rule upon which the proposed rule is based
14 was developed at a level where a significant number of
15 compliant coatings already exist in the marketplace.

16 The regulation will not apply to one, an AIM
17 coating sold or manufactured for use outside the state or
18 for shipment to other manufacturers for reformulating or
19 repackaging; two, an AIM coating sold in a container with a
20 volume of one liter or less; three, an aerosol product; or
21 four, a coating manufactured before January 1st, 2005.

22 Manufacturers producing AIM coatings would be

For The Record, Inc.
Washington Metro (301) 870-8025
Outer Maryland (800) 921-5555

1 responsible for developing and distributing compliant
2 products for sale in the state at the wholesale level.

3 Painting contractors and government agencies
4 specifying coatings are also responsible parties. A person
5 who manufactures, blends, thins, supplies, sells, offers
6 for sale, repackages for sale, applies or solicits the
7 application of an AIM coating within the state may need to
8 take action in response to these regulations.

9 The proposed action also contains several
10 flexibility provisions which would facilitate compliance
11 with the limits. These include a sell-through provision
12 where products manufactured before the effective date of
13 the rule can still be sold, a higher allowable VOC content
14 for recycled coatings, an exemption for coatings sold in
15 containers of one liter or less, and provisions for an
16 opportunity for a person to request an alternative VOC
17 content of a coating.

18 It has been estimated that these regulations will
19 reduce VOCs in the Baltimore and Washington nonattainment
20 areas by approximately eight tons and six tons per day
21 respectively beginning in January 2005. The 1990 Baltimore
22 and Washington inventory of emissions from such products

For The Record, Inc.
Washington Metro (301)870-8025
Outer Maryland (800)921-5555

1 were estimated at 27 tons and 31 tons of VOC per day
2 respectively.

3 These new regulations upon adoption will be
4 submitted to the U.S. EPA as a revision to the Maryland
5 State Implementation Plan. The Department will consider
6 all comments before making a decision to adopt these
7 regulations.

8 MS. RABIN: Would anyone like to comment on this
9 proposed action?

10 MR. LUTZ: Yes.

11 MS. RABIN: Who would like to go first?

12 MR. LUTZ: Randall Lutz representing the Sherwin-
13 Williams Company. We appreciate very much the opportunity
14 to comment on these regulations. The Sherwin-Williams
15 Company just for some background has a major manufacturing
16 facility here in Baltimore City. As a matter of fact only
17 -- probably less than a mile away. It also has numerous
18 company stores around the state and employs over 700
19 Maryland citizens who work in those stores and the
20 facility.

21 I just want to note for the record before we begin
22 that the ice and snowstorm has kept people away from this

For The Record, Inc.
Washington Metro (301)870-8025
Outer Maryland (800)921-5555

1 hearing. I know of three who wanted to be here and testify
2 today but will not be here because of the weather. And I
3 appreciate the Department's keeping the record open for an
4 extra few days to accommodate them and have them supply
5 their written testimony.

6 I believe that their presence would have been more
7 impressive than their written testimony so I'm not sure
8 that just keeping the record open for a few days is really
9 sufficient to bring their point across. But it should also
10 be noted that 20 out of the 24 school districts in the
11 state are closed today. Many local governments are on
12 liberal leave and there are many other closings.

13 The secondary roads are a major problem according
14 to the announcements on the radio and I have to assume that
15 there are other people who probably would have been here
16 today if it were not for the weather. And so keeping the
17 record open, I think, is a good thing but I'm not sure it's
18 enough for those people who really wanted to be here and
19 testify.

20 The people who are here with me today from
21 Sherwin-Williams flew in from Cleveland the night before
22 last so they didn't have to deal with the weather and they

For The Record, Inc.
Washington Metro (301)870-8025
Outer Maryland (800)921-5555

1 stayed here last night.

2 Sherwin-Williams has electronically sent to the
3 hearing officer its comments but in the event there is any
4 problem with that submission I have a hard copy here that I
5 would like to have placed into the record. I will deliver
6 that to you now. (Handing documents.)

7 Sherwin-Williams has three witnesses who would
8 like to testify today: myself, Ms. Madelyn Harding and Mr.
9 Douglas Splitstone. We were planning on having another
10 witness, Mr. Daniel Forestiere, Director of Regulatory
11 Affairs of the Sherwin-Williams wood care group, but he
12 could not make it here because of the weather from New
13 Jersey.

14 As a general matter what I'd like to do is I'd
15 like to make a few introductory comments, have Ms. Harding
16 testify and then have Mr. Splitstone testify and I'd like
17 to conclude with some closing comments from Sherwin-
18 Williams comments.

19 As a general matter Sherwin-Williams objects to
20 the regulations as proposed because of a number of reasons
21 that are spelled out in our written comments but basically
22 we are talking about issues that involve flaws in the

For The Record, Inc.
Washington Metro (301)870-8025
Outer Maryland (800)921-5555

1 underlying rationale to the model rule based upon
2 unsupportable and unreliable data, which you will hear
3 about from both Ms. Harding and from Mr. Splitstone.

4 MDE has not conducted any independent assessment
5 of this regulation before its proposal. It relied entirely
6 on the Ozone Transportation Commission's analysis and their
7 consultant, Pechan, which has major flaws in it.

8 And we believe it will be harmful to the citizens
9 of Maryland overall if some relief is not given in some of
10 the product categories. As I said, there are other reasons
11 that are stated in our submittal that the Department should
12 take note of.

13 However, Sherwin-Williams does appreciate the
14 inclusion in the proposed rule of provision .01E that
15 permits a person subject to the rule to request an
16 alternative standard. And we intend to put information
17 into the record today, sufficient to support what we
18 believe is an alternative standard for several of the
19 products for which there is no suitable substitute if the
20 rule is adopted as proposed.

21 The modification we're requesting would amount to
22 a very insignificant reduction of the emissions savings

For The Record, Inc.
Washington Metro (301)870-8025
Outer Maryland (800)921-5555

1 from the rule and as you're going to hear today anyway the
2 calculations done by the OTC in calculating what the
3 emissions reduction was was grossly underestimated.

4 We believe that the true emissions reduction if
5 this rule is adopted is almost twice as much as what is
6 predicted by the Ozone Transportation Commission.

7 Madelyn Harding who's going to present next from
8 Sherwin-Williams is a corporate manager in product
9 compliance. She's out of the headquarters office in
10 Cleveland. She is going to first address two very
11 important flaws in the proposed rule. One is the problems
12 and flaws with the rule's statistical basis. She will
13 point those out and tell you why the underlying rationale
14 for the rule and the computations make no sense.

15 She will also propose an alternative way of
16 calculating emission reductions that demonstrates
17 considerably more emission reductions than predicted by the
18 OTC.

19 Then Ms. Harding will discuss the reasons why the
20 rule will, in effect, ban certain popular and useful
21 products for which there are no suitable substitutes and
22 explain that making different standards, alternative

For The Record, Inc.
Washington Metro (301)870-8025
Outer Maryland (800)921-5555

1 standards for these product will not subject Maryland to
2 any enforcement action by EPA. Ms. Harding.

3 MS. HARDING: Thank you. Good morning. I don't
4 know if you all were as cold as I was out there today. I
5 sure hope you get a warm spell soon.

6 Actually, Mr. Lutz described my procedures
7 slightly different than the way I have thought of it. I
8 had thought I would start with the technical issues then
9 consider the emission reduction calculations, both the ones
10 that the OTC have used and that Maryland is basing it on
11 and then an alternative emission reduction calculation and
12 then hand it back to Mr. Lutz.

13 There are five technical issues that I will
14 address very briefly. These are addressed more fully in
15 our comments. These are on floor coatings, exterior wood
16 primers, interior wood stains, those are clear and
17 semitransparent, wood varnishes containing sealers, and the
18 numbers you see on the slide are the VOC limits in grams
19 per liter that we are recommending.

20 Floor coatings, and these are specifically of
21 concern when you're dealing with exterior wood porches that
22 might be found, for example, in century homes and they're

For The Record, Inc.
Washington Metro (301) 870-8025
Outer Maryland (800) 921-5555

1 very prevalent here in the Northeast.

2 Typically one uses a solvent-borne product on
3 these porches because they penetrate and they are highly
4 durable. Penetration is really critical because when you
5 have many layers of old paint you need to tie them down to
6 the wood. And the waterborne systems don't have the
7 capability of penetrating very far compared to a solvent
8 one.

9 The OTC has relied heavily on studies out of
10 California and the model rule or suggested control measure
11 for CARB. The California Air Resources Board for floor
12 coatings depended on studies that were done in Southern
13 California by South Coast Air Quality Management District.

14 And those studies were only done on concrete so
15 the concept that one can find equal performance might apply
16 to concrete coatings for floors or for horizontal surfaces
17 but it certainly didn't apply to wood, at least it hasn't
18 been studied. So that's number one is the floor coatings.

19 The second issue is the exterior wood primer
20 issue. In looking over our data sheets over many years
21 what I have found is that for latex, exterior latex paints,
22 we generally recommend the use of an alkyd primer when you

For The Record, Inc.
Washington Metro (301)870-8025
Outer Maryland (800)921-5555

1 are applying to wood surfaces.

2 In addition, it's important to note that whenever
3 you have had a problem with peeling paint, for example, the
4 recommended procedure is to strip it down to bare wood and
5 prime with an alkyd primer. This rule eliminates that
6 ability for us to sell to those applications and for you
7 people to purchase those.

8 Both real wood and composition boards have
9 problems when you're talking with waterborne systems. We
10 have done studies comparing our commercial exterior alkyd
11 primer to our exterior waterborne primer on exposure and
12 have found that when you are on Cedar, for example, the
13 tannins will bleed through the wood and the general overall
14 appearance of the topcoat is significantly harmed when
15 you're using a latex undercoating.

16 When you're dealing with composition board it gets
17 much more serious because when you put water in contact
18 with composition boards you tend to have wax bleed through,
19 surfactive leaching and swelling of the wood particles.
20 And combined all of those activities on the part of the
21 water cause a harm actually to the composition board that
22 can be rather serious. The solution for those are also

For The Record, Inc.
Washington Metro (301)870-8025
Outer Maryland (800)921-5555

1 alkyd products.

2 Turning our attention to interior wood substrates,
3 I would like to start by discussing the issue of stains and
4 water. Typically, your proposal has a limit of 250 grams
5 per liter for stains. This limit causes or results in only
6 three possible technologies that will be available. One is
7 waterborne, one is very, extremely high solids, and the
8 third would be exempt solvent technologies.

9 Currently, there are no 250 grams per liter stains
10 on the market that will meet the requirements of all
11 applications. Waterborne stains cannot be applied to large
12 surfaces without causing lap marks.

13 I would like to introduce into evidence a
14 photograph of wood. This is a photograph of a wood panel.
15 Half of it has been stained with Duraseal's penetrating
16 finish which is a solvent-borne system and half has been
17 stained using a competitive product by a company known as
18 Fuhr. This is a waterborne wiping stain and is number 105.
19 It is the wiping stain that Fuhr has which from their data
20 sheets has the longest open time.

21 And what you will see, what we have done here is
22 we have applied the stain to one strip and then waited

For The Record, Inc.
Washington Metro (301)870-8025
Outer Maryland (800)921-5555

1 several minutes, I think ten, and then continued staining
2 the next. Now, since stains are not done using rulers but
3 rather they are wiped on you don't end up on one clean
4 panel you end up around. And the overlap area will be
5 between the boards, between the strips.

6 And what you will see -- I can pass this around
7 and this is in fact for your record is that in the overlap
8 area the appearance is darker and that is called lap marks.
9 That occurs in the waterborne systems.

10 This is a particular problem on large surface
11 areas like floors when you have a room about this size. If
12 this was instead of being carpeted all wood and you went to
13 stain it obviously you could not get all of the stain out
14 and done in less than 10 minutes. You would be having
15 these lapped areas and unless the open time of the product
16 is extremely long without any drying occurring you will get
17 lap marks.

18 Solvent-borne systems don't dry as rapidly. They
19 certainly don't cure and you get to work in the second
20 layer into the first layer and thus it spreads it out which
21 is one of the reasons why you would not get lapping.

22 In addition, waterborne stains cannot be applied

For The Record, Inc.
Washington Metro (301) 870-8025
Outer Maryland (800) 921-5555

1 to many species of wood without causing grain raising.
2 Grain raising is where individual fibers of the wood have
3 swollen and popped up above the level of the surface.

4 When you are not using a film-building topcoat
5 that's a significant problem. I can talk from personal
6 experience. My home has all natural woodwork and the
7 moldings around the floors, the top molding and all around
8 the windows has all been stained with cherry.

9 However, we do not have a top coat over it. It
10 was simply stained. Had the stain been water-based stain
11 then when I would touch that I would have fibers that I
12 would feel. And you can't sand those down. The way you
13 normally would fix that would be putting a one, two or
14 three levels more above it of something like a varnish so
15 you'd get a top thick coating and that way you have
16 smoothed it out. If you try to sand something like that
17 you get a nonuniform appearance. But in my house we didn't
18 have varnish over it, we have just cherry-colored wood.

19 The third possible technology to solve the problem
20 with stains is high-solids technology. To reach a 250
21 grams per liter, the solids would need to be over 70
22 percent which is extremely high and which will create

For The Record, Inc.
Washington Metro (301)870-8025
Outer Maryland (800)921-5555

1 viscosity problems, dry time problems and application
2 problems.

3 The final technology available for stains would be
4 the use of exempt solvents. Currently, there are only two
5 solvents that are even marginally useful in coatings that
6 have been exempted by EPA. Those are acetone and PCBTF
7 also known as Oxxol 100.

8 The acetone has significant problems with
9 flammability. It has a very high vapor pressure and a very
10 low flashpoint which the combination is extremely
11 hazardous. And the PCBTF, the Oxxol 100 has increased
12 inhalation toxicity issues associated with it. It also has
13 a very bad odor that most customers would not like. So
14 that summarizes our concerns with stains.

15 In the area of varnishes you will find that the
16 records in other jurisdictions indicate apparent
17 disagreements about the performances and appearances of
18 waterborne varnishes compared to solvent-based clear wood
19 finishes.

20 And we have done a good illustrative data -- this
21 is real interesting. This was a study that we made of
22 commercial products. This study was performed four years

For The Record, Inc.
Washington Metro (301)870-8025
Outer Maryland (800)921-5555

1 ago so it had nothing to do with rule-making. This is one
2 of the many types of things we routinely do.

3 Dater School is an elementary school in Ramsey,
4 New Jersey where they actually have wood floors in their
5 hallways. We received permission to apply six coatings to
6 their wood floors and the children walked and did whatever
7 children do in an elementary school with wood floors.

8 And we evaluated the gloss every week for five
9 weeks. These six coatings, starting at the top which is an
10 easy distinction, these are all commercially available
11 coatings, half of them are commercially available from us.

12 The highest gloss retention coating was the oil-
13 modified solvent-borne varnish. This is the material that
14 we think it's important to maintain. The worst performing
15 were the waterborne lacquers. There were two varieties.
16 Those are the bottom.

17 And in the middle you find equivalent performance
18 amongst or pretty equivalent performance amongst three
19 products. One is an oil-modified waterborne varnish and
20 then the other two are aziridine crosslinked waterborne
21 varnishes. There are two of those. And those all have
22 essentially equivalent performance.

For The Record, Inc.
Washington Metro (301)870-8025
Outer Maryland (800)921-5555

1 Now, one of the things and what's critical about
2 this is that generally one recoats a floor not because the
3 film has disappeared, as in erosion, but because it's lost
4 its appearance. And one of those appearance
5 characteristics is the gloss.

6 At our house we have semigloss varnish on our
7 floors and that's what we want it to look like and when
8 they start getting dull looking we look at each other and
9 say, well, I guess it's time to get someone out here to
10 recoat the things. That's how you do it.

11 It's not that I'm going out there and saying oh,
12 my, we don't have that thickness anymore. It's that the
13 appearance has degraded. We're introducing this into
14 evidence as well.

15 The performance requirements for varnishes can
16 vary based on the application and the differences between
17 the chemistries as I have shown you there.

18 Also, when it's applied to raw wood, especially
19 darker species of wood, solvent-based varnishes will
20 provide a better depth and warmth of appearance. I really
21 wish I had real wood here to show you because it makes a
22 dramatic difference and it has better grain contrast than

For The Record, Inc.
Washington Metro (301) 870-8025
Outer Maryland (800) 921-5555

1 waterborne finishes.

2 Interestingly enough, even BonaKemi, who is a
3 particularly vocal proponent of waterborne clear varnishes
4 for wood floors, recommends an oil-based clear stain before
5 applying a waterborne varnish for those darker type woods.

6 One of the other reasons why different people feel
7 differently and report different results on varnishes has
8 to do with the ways performance are measured and defined.

9 Lab tests are useful for screening but frequently
10 will fail to predict performance in actual use.

11 Frequently, people who use lab tests that have to do with
12 abrasion resistance, which have very poor reproducibility
13 according to ASTM, the percent reproducibility is very
14 poor. And they can be misleading especially when you're
15 looking at things that are highly cross-grained for
16 example. Under no circumstances can you substitute for
17 field testing like the Dater School test that we ran.

18 It's also important to note that the product we
19 studied there, two of those which are the aziridine
20 crosslinked waterbornes that we did we studied there and
21 also the isocyanate crosslinked products. Both of those
22 type of products really are only used by professionals.

For The Record, Inc.
Washington Metro (301)870-8025
Outer Maryland (800)921-5555

1 There are toxicity issues associated with them being used
2 by do-it-yourselfers.

3 The last subject in this technical section that I
4 would like to discuss is sanding sealers. We discuss this
5 fairly completely in our written testimony but just to
6 remind you waterborne sealers can lead to panelization of
7 wood flooring. This is where adjacent boards of a floor
8 get glued together so strongly that other sections have
9 cracks due to temperature and humidity changes.

10 Also, it's important to note that sealers when
11 you're dealing with waterborne sealers those are usually
12 thermoplastic. The term thermoplastic means it softens on
13 heating. When you sand it that friction causes the heat
14 and causes it so soften which means it gunks up and you
15 can't really sand it. You can mush but you can't sand.
16 It's essentially an oxymoron to say it is a thermoplastic
17 sanding sealer because you can't do it. Thus, in summary,
18 these are the limits that we are requesting and they are
19 also in our written comments.

20 What I'd like to do now is to have help from
21 Randy. All I need you to do is push the down arrow when I
22 say now or next slide.

For The Record, Inc.
Washington Metro (301)870-8025
Outer Maryland (800)921-5555

1 MR. LUTZ: That sounds simple enough.

2 MS. HARDING: Now, we're going to turn our
3 attention to the emission reduction calculations. The OTC
4 used a consultant named Pechan to do their emission
5 calculation cost effectiveness work. And what's really
6 scary is when we look at the data that Pechan was using
7 what we find is that in some cases an increase in the limit
8 surprisingly causes an increase in reductions.

9 This is contrary to what one would expect. You
10 would expect you would increase the limit, you decrease the
11 reductions. And I'm going to show you some very specific
12 examples of that.

13 The other issue is that in some cases from this
14 data the VOC limits will cause a negative emission
15 reduction. That is that you introduce a limit and you now
16 increased emissions, which is nonsensical. It makes no
17 sense. For this reason, I sometimes think of it as it
18 doesn't pass the laugh test. Next slide.

19 Here are some examples. I'm just giving you a few
20 examples from the data. It's scary. First off, let's
21 explain to you the columns. Here are the coating
22 categories. This specific slide is sanding sealers. Here

For The Record, Inc.
Washington Metro (301)870-8025
Outer Maryland (800)921-5555

1 is the technology, is it solvent-based or solvent-borne
2 that would be SB, or waterborne that would be a WB.

3 Here is the VOC range for the data. The data is
4 from an Industry Insights survey from the early '90s and
5 the data was accumulated into ranges. So, for example, if
6 a product had a VOC of 660 it would have been put into this
7 range.

8 The upper limit of the range is, I think, pretty
9 self-evident. This is simply the largest number so if a
10 product is at 600 it would be in the range 551 to 600 and
11 the upper limit is 600. A product at 601 would have been
12 bumped into the next group with an upper limit of 650.

13 Then there are two assumptions broadly of which
14 they are two sub-assumptions that are made in these
15 calculations. These are attempting to calculate the
16 emission reduction achieved by introducing a limit of 350,
17 400, 500, et cetera.

18 One is a constant gallons assumption. This
19 assumes that all of the gallons that are above the limit an
20 equivalent number are then put down to the limit which
21 means at limit or that those gallons are spread over the
22 curve, that is if the distribution of sales that there was

For The Record, Inc.
Washington Metro (301)870-8025
Outer Maryland (800)921-5555

1 a bell curve and your limit was right at the top of the
2 bell, then the distribution would be some of the products
3 would be at the high point all the way down to the low
4 point, essentially, the concept being that all of those
5 gallons that were above the limit died, been discontinued
6 and their sales were then picked up by all the other
7 products that did comply. That's the concept of over the
8 curve.

9 The concept of constant solids assumption is when
10 instead of saying the gallons stay constant for all those
11 gallons that were above the limit what you do is you say
12 that the solids content stayed constant and you make the
13 adjustment again at the limit or over the curve.

14 The black heavy mark around in this case the
15 sanding sealers with an upper limit of 350 I have used to
16 note that is the limit that is in the rule that is being
17 proposed.

18 What is interesting is the yellow highlighted area
19 where what you will see is that if you set the limit at 350
20 the emissions reduction would be at constant solids at the
21 limit would be 671,000 pounds, approximately. However, if
22 you set it at 400 grams per liter you get 2 million pounds

For The Record, Inc.
Washington Metro (301)870-8025
Outer Maryland (800)921-5555

1 reduction.

2 Now, this goes contrary to what you would expect.
3 You would expect that if you set the limit at a higher
4 number you would get lower reductions. And the reason I'm
5 highlighting this is that in fact the proposed limit is 350
6 and you can safely go, based on this data, to 400 and have
7 even more reductions. Next slide, please.

8 Again, the format is the same so I'm not going to
9 go through it again. This is again a solvent-based
10 product. This is the general category known as primers.
11 They are generally lumped as primers, sealers and
12 undercoaters but there's not enough room to put all those
13 words there.

14 MR. LUTZ: Madelyn?

15 MS. HARDING: Yes?

16 MR. LUTZ: All these numbers are from the Insight
17 survey?

18 MS. HARDING: This is all from the Industry
19 Insights database and this is the data that we believe
20 Pechan has used to do his calculation of emission
21 reductions.

22 I have again circled in big fat bold the limit

For The Record, Inc.
Washington Metro (301)870-8025
Outer Maryland (800)921-5555

1 that is in the proposed rule. That limit is 200 grams per
2 liter. You will see that constant solids at the limit the
3 report suggests just a little bit shy of 10 million pounds
4 will be the emission reduction.

5 However, if the limit was at 250 they would be an
6 18 million pound emission reduction. This has me real
7 concerned. I think we're having problems not laughing.

8 The next slide then addresses the other issue
9 which is that introducing a VOC limit produces a negative
10 emission reduction. The category is quick-dry primers.
11 It's again solvent-borne. The data extends from an upper
12 limit of 300 to 750 grams per liter.

13 You will notice I have circled the top line. That
14 would be the line that would have been used for the quick-
15 dry primer category because that's the lowest data point
16 they have and the limit actually in the proposal was 200
17 grams per liter but in the quick-dry primers the lowest
18 point here is 300 grams per liter.

19 And what you'll notice is the constant solids at
20 the limit you have an increase in VOCs of six million odd
21 pounds, about six and a half million pounds actually which
22 means it's costing you something to introduce VOC limits,

For The Record, Inc.
Washington Metro (301) 870-8025
Outer Maryland (800) 921-5555

1 which makes no sense, folks.

2 I forgot to highlight also, there's a number there
3 and there's also a number there, there's no way you can get
4 a negative number by introducing a limit, not in practice.
5 This doesn't make sense. This just doesn't make sense.
6 Next slide.

7 Again, in my blue highlights some of the negative
8 ones, not all of them, notice I highlighted a few more,
9 these are opaque stains. These are waterborne opaque
10 stains. The limit in the proposal is 250 grams per liter
11 which results in constant solids, which is the way Pechan
12 was doing it, with minus 10,000 pounds.

13 So you get a minus reduction which means you are
14 increasing emissions by setting limits which makes no sense
15 because, again, keep in mind that it is only that which is
16 above the limit that one is adjusting. The assumption is
17 that all products that were below the limits stay as they
18 were in all these calculations. You will also notice that
19 going to a 50 grams per liter you have an increase of
20 emissions of 250,000 pounds which is really scary.

21 And finally, in the category known as sealers we
22 have got all the problems illustrated all at once. What

For The Record, Inc.
Washington Metro (301)870-8025
Outer Maryland (800)921-5555

1 you've got -- these are waterborne sealers. The range of
2 VOCs are from 50 to 350. What you will find is if you were
3 to have set the limits in the rule at 50 you would have, if
4 you consider just constant gallons at the limit, have taken
5 approximately 60,000 pound emission reduction but if you
6 decided instead of 50 to go to 100 you would have had an
7 emission reduction of a quarter of a million approximately,
8 249,000 in round numbers.

9 You, however, in the proposal have set the limit
10 at 200 and in the constant solids number you will see that
11 that produces a minus 100,000 pound reduction meaning you
12 have now increased emissions by a 100,000 pounds according
13 to this data.

14 It's for all of these reasons that we are real
15 uncomfortable using the Pechan analysis to determine
16 emission reductions. As some of you know in earlier
17 comments I had said that there were some problems because
18 the Pechan analysis only resulted, according to his
19 calculation, in a 31 percent reduction from the national
20 rule which doesn't make sense because California has
21 claimed 20 percent and they were starting not at the
22 national rule but with limits already in place. They had

For The Record, Inc.
Washington Metro (301)870-8025
Outer Maryland (800)921-5555

1 already taken a lot of reductions.

2 So it didn't make sense and it hasn't. And this
3 is why the result came out the way it did. You've got
4 inconsistent numbers. You've got numbers that are not
5 making sense. But when we use the spreadsheet that Dan
6 Brinsko of New York had supplied to us we do get the 31
7 percent -- it's just sometimes he chooses zero.

8 In this case he would say there would be no
9 reduction. He doesn't say it actually goes up. He simply
10 says there's no reduction.

11 But this is a real problem. So what we decided is
12 to look for a better data source with data that maybe will
13 produce some results that are closer to reality. Next
14 slide, please.

15 What we did is we looked at the California survey
16 which was actually a good starting point since the OTC
17 model rule is based on the California suggested control
18 measure and in the report for the suggested control measure
19 is where the State of California, the Air Resources Board
20 says that they're going to get 20 percent reduction. So it
21 is a good starting point.

22 I am, however, here using a more recent survey.

For The Record, Inc.
Washington Metro (301)870-8025
Outer Maryland (800)921-5555

1 These are the results from the 2000 survey rather than the
2 1996 survey that California had had to use for the staff
3 report because they were doing that prior to the completion
4 of the year 2000.

5 This is somewhat of an overview slide. The
6 emissions from that survey on a tons per day with thinning
7 was 137. Tons per year is 50,000 approximately tons per
8 year. The population is over 33 million which comes out to
9 a per capita figure of 2.95.

10 After the emission reduction and this is after
11 some adjustments we have to make to it and I'll discuss
12 those in a minute the reduction would only be 14 tons per
13 day, which would result in a 123 ton per day emission; tons
14 per year around 45,000. Same population, 2.65 on a per
15 capita basis.

16 Using the post-national rule emission factor which
17 is 5.36 which is from Pechan and which he got from starting
18 with the national recommendation for a starting baseline
19 and then took 20 percent off of that. So this is not based
20 on any kind of survey data. This was based on the EPA
21 proposal for that statement that that was how much he was
22 going to have. So it's 5.36.

1 If you compare the 2.65 with the 5.36 you have a
2 51 percent reduction. That's starting to sound like a
3 normal number. And now I can show you the details of this
4 on the next slide.

5 Here are the adjustments I have made. And this
6 was at the request of MDE where it's not just the specific
7 categories or concerns of the Sherwin-Williams Company. We
8 have incorporated the categories that we understood NPCA
9 was concerned with. Here are, on the left, the limits that
10 either we and/or NPCA were recommending with the exception
11 of industrial maintenance where that 340 grams per liter is
12 the difference between the OTC model rule and your proposal
13 and the California Air Resource Board suggested control
14 measure. That is something that the OTC changed. And that
15 needed an adjustment as well.

16 You sum these all up, what you find is that we
17 have an emission adjustment needed of eight tons per day.
18 And so originally what that ends up being is originally it
19 would have been approximately 22 tons per day but we lose
20 eight of it and so after the reduction we have a 14 ton per
21 day reduction in California if the Maryland rule was to be
22 used in California. Hopefully that made sense.

For The Record, Inc.
Washington Metro (301)870-8025
Outer Maryland (800)921-5555

1 Applying those to Maryland we are starting out
2 here with the 51 percent that the California rule would
3 give us after we made the adjustments we need to it.
4 Maryland population is 5.3 million based on the post-
5 national emission factor of 5.36 times the population you
6 get tons per year of a little bit more than 14,000. That
7 is currently what your emissions would be.

8 Pechan, his post-rule ends up with a factor of
9 3.70 on a per capita basis. So Pechan's emissions after
10 his analysis would have been a little bit less than 10,000.
11 However, we believe it is much more accurate, the 2.65
12 emission factor, post rule which would result in only 7,000
13 tons per year emissions.

14 The difference between these two is about 2800
15 tons per year or 7.6 tons per day. That's the increase in
16 emission reductions that you're getting over what Pechan
17 suggests in his report. That's the 51 percent. I believe
18 that might be my last slide. Yes, that's my last slide.
19 We don't need this.

20 In summary, in the area of emission reduction
21 calculations I think that you are doing yourselves an
22 injustice and doing the industry an injustice by depending

For The Record, Inc.
Washington Metro (301)870-8025
Outer Maryland (800)921-5555

1 on data that is laughable. It doesn't make sense. And
2 those were just selected because -- those specifics were
3 selected because in fact the problem was right where your
4 limits were.

5 But there are numerous examples if you go through
6 that data over and over again of negative numbers appearing
7 or of numbers where you get a larger reduction when you
8 have a higher limit. And this makes no sense. That data
9 should not be used in determining what your emission
10 reductions are. Thank you.

11 MR. LUTZ: Thank you Ms. Harding.

12 MS. RABIN: Do you have these materials in hard
13 copy to present?

14 MS. HARDING: Yes.

15 MS. RABIN: Okay.

16 MR. LUTZ: They are in our submittal I believe at
17 Exhibit 6 and 7.

18 MS. HARDING: Or, if you want, I can give you
19 copies of the slides as well.

20 MS. RABIN: That would be great.

21 MS. HARDING: The format is slightly different
22 between the two.

For The Record, Inc.
Washington Metro (301)870-8025
Outer Maryland (800)921-5555

1 MR. LUTZ: Now, when Ms. Harding came up with and
2 recognized and saw these flaws in the spreadsheet and went
3 over and over it again, and went over it with their
4 attorneys and interior corporate people we decided that it
5 would be best to have somebody independent take a look at
6 this and see whether or not our conclusions about the data
7 was, in fact, correct, that there were fatal flaws, et
8 cetera.

9 Sherwin-Williams hired Mr. Douglas Splitstone who
10 is an independent consulting statistician to conduct this
11 independent assessment of the statistical base for the OTC
12 model rule upon which the proposed regulation is based.

13 The reason we chose Mr. Splitstone is because of
14 his impeccable outstanding credentials. He has more than
15 35 years of experience in the application of statistical
16 tools to the solution of environmental problems.

17 One of the primary credentials that we relied upon
18 was the fact that Mr. Splitstone is a consultant to the
19 U.S. EPA's Science Advisory Board and having served on the
20 Air Toxics Monitoring Subcommittee, the Contaminated
21 Sediment Science Plant Review Panel and the Environmental
22 Engineering Committee's Quality Management and Secondary

For The Record, Inc.
Washington Metro (301)870-8025
Outer Maryland (800)921-5555

1 Data Use Subcommittee.

2 He also is a member of the task group on
3 epidemiology and statistical methodology for the U.S. EPA's
4 Center for Environmental Epidemiology at the University of
5 Pittsburgh's graduate school. He's a member of the adjunct
6 faculty at Penn State University and Indiana University of
7 Pennsylvania. And he has received a distinguished
8 achievement medal from the American Statistical Association
9 for his work on statistics and the environment.

10 And I'd like to have Mr. Splitstone now comment on
11 his review and assessment of the underlying data and
12 rationale in the Pechan report and the OTC's rationale.

13 MR. SPLITSTONE: First, I'd like to thank Mr. Lutz
14 for the kind introduction and it's going to be a large one
15 to live up to. When I was asked to take a look at the
16 calculations and data behind the Pechan report I thought
17 first of the Data Quality Objectives Act and subsequent OMB
18 guidelines that apply to the dissemination of information
19 in the environmental arena as well as elsewhere in the
20 government. In fact, it applies to everybody who is
21 subject to the Paperwork Reduction Act.

22 And particularly in regard to the dissemination of

For The Record, Inc.
Washington Metro (301) 870-8025
Outer Maryland (800) 921-5555

1 influential information which means that it is information
2 that will have a clear and substantial impact on important
3 public policies or important private sector decisions.

4 The OMB, Office of Management and Budget, in 2001
5 set forth some guidelines that one needs to consider, three
6 of which I will mention today. One is the utility of the
7 information. The other is reproducibility and the other
8 that I will talk about is whether the calculations and
9 logic are transparent to a reasonably educated individual.

10 It's my understanding that the Ozone Transport
11 Commission's model rule for the architectural and
12 maintenance coatings, it's found in the report mentioned
13 before by Pechan and Associates, and the Pechan analysis is
14 allegedly supported by survey data.

15 In fact, two surveys are mentioned in their
16 report, one being the survey performed for the National
17 Paints and Coating Association by Insights, Industry
18 Insights, Inc. And in fact that is mentioned in the Pechan
19 report as the basis for their emission reduction
20 calculation.

21 Another survey was conducted by Pechan to assess
22 the market impact of the proposed rule. This was a survey

For The Record, Inc.
Washington Metro (301) 870-8025
Outer Maryland (800) 921-5555

1 of much smaller in scope. They chose I believe 32
2 companies from the list of companies mentioned in the
3 California Air Resources Board surveys, added to that some
4 companies that were regional with the cooperation of the
5 National Paints and Coating Association and surveyed, sent
6 out 32 surveys. Unfortunately, only 18 responded to the
7 volunteer survey. And these 18 that responded are
8 representative of mostly the larger companies, larger
9 manufacturing companies in the Ozone Transport Region.

10 Given the low response and the fact that these
11 larger companies are likely to manufacture lower emitting
12 products one has to give some serious consideration as to
13 whether the market impact analysis is really representative
14 of all the companies that are selling products in the Ozone
15 Transport Region.

16 Going back more to the point in terms of emission
17 reduction calculations and looking at the Insights survey
18 which initially approached 950 or identified 950 companies
19 and sent out surveys to these companies, 173 responded
20 which is only about an 18 percent response rate. And of
21 those 114 admitted to manufacturing AIM products in 1990.
22 This was the basis of the emission inventory that Pechan

For The Record, Inc.
Washington Metro (301)870-8025
Outer Maryland (800)921-5555

1 used in attempting to estimate emission reductions.

2 Again, those companies responding are likely to be
3 the major companies. This again was a voluntary survey and
4 again would be companies that manufactured, perhaps
5 manufactured, lower emitting products.

6 Now, it is well recognized in survey analysis that
7 small responses are likely to produce biases in the results
8 as well. So we have to consider that aspect according to
9 accepted statistical practice the bias towards those
10 responding companies and what share of the market they
11 represent would again bring into question whether these
12 companies are truly representative of those selling in the
13 Ozone Transport Region, and are really representative of
14 the whole market.

15 Given that one really has to wonder then whether
16 this data is truly useful in determining emission
17 reductions. We have to question then the utility. More
18 serious, I think, is the fact that the information
19 available from the Insights survey due to confidentiality
20 considerations is incomplete so that to reproduce the
21 classification that was shown in Ms. Harding's slides is
22 not possible from the data available on the Insight survey.

For The Record, Inc.
Washington Metro (301)870-8025
Outer Maryland (800)921-5555

1 I've had a couple of discussions with the National
2 Paint and Coatings Association as well as Sherwin-Williams
3 as to whether the raw information is available somewhere
4 and apparently it is not.

5 So we are left with the hard copy of the survey
6 with the confidentiality data gaps in it which does not
7 then permit us to reproduce the distributions according to
8 the categories in grams per liter that were shown on Ms.
9 Harding's slides.

10 MR. SELL: Can I just interject here so it's clear
11 to people how that came about? The NPCA did not conduct
12 this survey. It sponsored it. So we hired as we always do
13 in these sorts of things so we don't get a vision or an
14 understanding of our own customers' market circumstances.

15 We had an outside group do this and as a result
16 when they finish a survey like it is customary for them to
17 have confidentiality concerns as well and to get rid of the
18 data. So it wasn't that people deep-sixed this
19 information. It was just in the normal course of what's
20 done. Thanks.

21 MS. RABIN: I'm sorry. Can you give your name for
22 the court reporter?

1 MR. SELL: I'm Jim Sell with the National Paint
2 and Coating Association. Thank you.

3 MR. SPLITSTONE: I wonder if we could put us just
4 one of your slides?

5 MS. HARDING: Give me one minute.

6 MR. SPLITSTONE: Any one. I just want to get the
7 feeling of the spreadsheet.

8 MS. RABIN: Do you want to hold up one of these
9 and pass it around or something?

10 MS. HARDING: I just turned it off. It's starting
11 up.

12 MR. SPLITSTONE: We can go on if we can imagine
13 the slide and there is --

14 MS. RABIN: We can pass these hard copies around
15 and then just give it back to me again.

16 MS. HARDING: I don't know if you can remember
17 what they look like. Which one did you want to see?

18 MR. SPLITSTONE: Any one. I just want to look at
19 the form of the spreadsheet. We can just go with the hard
20 copy. Pechan in their report clearly indicates that the
21 basis for their emission reduction calculation was data
22 from the Insights report. I already talked about the

For The Record, Inc.
Washington Metro (301)870-8025
Outer Maryland (800)921-5555

1 difficulty and the impossibility of reproducing their
2 classifications in terms of gallons pounds. The original
3 spreadsheet which came from New York --

4 MS. HARDING: Yeah, Dan Brinsko.

5 MR. SPLITSTONE: Has a couple of other columns in
6 it one of which contains at the bottom for each coating and
7 base category a total emissions in pounds which is
8 consistent with what is reported in the Insight survey.

9 Given that misstatement in the report one would be
10 led to believe that the total emissions that could be
11 reduced should be the total emissions from the Insights
12 survey. Indeed, it's only that way in one case and that is
13 bituminous coatings. Now --

14 MR. LUTZ: How many are not?

15 MR. SPLITSTONE: How many are not? All the rest,
16 however many they have in there. But there's only one case
17 where this top line which should be if you reduce
18 everything should be the total emissions. Most of the time
19 these values here are greater than the total emissions
20 reported in the Insights survey.

21 So I set about trying to ascertain, ferret out the
22 logic behind Pechan's distribution to these categories.

For The Record, Inc.
Washington Metro (301)870-8025
Outer Maryland (800)921-5555

1 Based on the total gallons produced and making some
2 assumptions I could at least attempt it for the exterior
3 flats. Given a couple of tables in the Insight survey I
4 was able to reconstruct by and large the distribution of
5 gallons sold for the exterior flats category.

6 I then tried to by several means reproduce their
7 calculations and their estimates of emissions reductions.
8 And I found it was impossible to do through any accepted
9 statistical calculations to reproduce the values that they
10 have there.

11 I then inquired at the National Paints and Coating
12 Association and with Ms. Harding as to whether they knew
13 what the formulae were that were used for this and was told
14 no. So we have a situation where certainly the estimation
15 of emissions reductions is anything but transparent and
16 apparently there is no one around or can be identified who
17 actually did it and can describe the logic behind it.

18 Therefore, I conclude that the calculations
19 presented in the Pechan report with regard to the coatings
20 are of doubtful utility, certainly not reproducible and
21 certainly not transparent and therefore do not meet the OMB
22 guidelines for the dissemination of information for the

For The Record, Inc.
Washington Metro (301)870-8025
Outer Maryland (800)921-5555

1 adoption of regulation.

2 Now, I have also reviewed the California Air
3 Resources Board survey results, not all seven years or
4 seven surveys but the last three and find that they have
5 taken pains to reduce their nonresponse rate according to
6 accepted methodology, have gone out and followed up on
7 survey results. Therefore, any bias that might be
8 introduced by nonresponse can at least be objectively
9 looked at.

10 The calculations, although the reports still have
11 the confidentiality problems, any of the calculations or
12 data, because of a permanent staff existing at the Air
13 Resources Board can be overcome. I'm sure that they can
14 all be reproduced and I have looked at the calculations
15 that Ms. Harding has performed and certainly can follow the
16 logic and they are transparent.

17 So it's my conclusion that the Pechan report and
18 subsequent estimation of emissions would not meet the OMB
19 guidelines. The industry calculation is based on the
20 California data would indeed meet the OMB guidelines.

21 MR. LUTZ: Thank you, Mr. Splitstone. I would
22 like to introduce into the record four documents.

For The Record, Inc.
Washington Metro (301)870-8025
Outer Maryland (800)921-5555

1 Actually, one of them is Mr. Splitstone's report which
2 explains what he said is attached at Exhibit Number 5 to
3 our submittal and I have here with me a copy of the
4 guidelines for ensuring and maximizing the quality,
5 objectivity, utility and integrity of information
6 disseminated by the Environmental Protection Agency. I
7 will give that to the hearing officer.

8 I also have the Federal Register dated February
9 22nd, 2003 which are the OMB guidelines that are to be
10 followed by each federal agency in adopting regulations and
11 a notice of Public Law 106554 which is the law that
12 requires the Office of Management and Budget to adopt these
13 regulations.

14 I would like to make a few closing remarks on
15 behalf of Sherwin-Williams and point out one thing. I
16 think the most important point anything the department
17 should get out of Ms. Harding and Mr. Splitstone's
18 testimony is that there is probably going to be as a result
19 of this regulation not a 31 percent reduction in emissions
20 of VOCs but a 51 percent reduction in emission of VOCs.
21 Even if relief is given to the 12 categories that we have
22 requested it's going to be around 50 percent not 31

For The Record, Inc.
Washington Metro (301)870-8025
Outer Maryland (800)921-5555

1 percent.

2 That gives the Department considerably more leeway
3 and flexibility with meeting its SIP requirements for the
4 Baltimore and Washington metropolitan areas which is
5 extremely important obviously. I'd also like to point out
6 two more things that I don't think the Department has
7 considered and should.

8 This basically has to do with what is going to
9 happen to the citizens of the state of Maryland if this
10 regulation goes into effect. Ms. Harding testified about
11 the performance problems and the fact that there are no
12 suitable substitutes and waterborne products just don't
13 perform to the satisfaction of the customers and the
14 appliers.

15 No consideration has been given to the thousand or
16 more jobs in Maryland who are now being occupied by folks
17 in the state of Maryland who install hardwood floors, sand
18 them, stain them and finish them. No consideration has
19 been given. And it may be more than a thousand. I mean,
20 the three people who are not here who were going to testify
21 were going to testify exactly about this. They were going
22 to -- and the comments should be coming in -- were going to

For The Record, Inc.
Washington Metro (301)870-8025
Outer Maryland (800)921-5555

1 confirm Ms. Harding's conclusions that waterborne
2 substitutes are not suitable for doing floor staining and
3 other uses that Pechan said there was no problem.

4 And there are a lot of people in this state. I
5 mean, not only do they install the floors and stain them
6 and finish them but as you all know, hardwood floors are
7 becoming more and more popular. The finish on those
8 hardwood floors do not last forever and people, citizens of
9 the state of Maryland, will be demanding that they get
10 refinished.

11 And if this regulation goes into effect no one
12 will be able to refinish these floors basically even with
13 the small quantity exemption that's in there. It's
14 practically impossible. You're not going to use liter
15 containers to do this. These are professional people who
16 have jobs, who go about finishing and installing and
17 staining and finishing floors.

18 So I expect that there will be written comments by
19 those folks who were going to testify today. And of
20 course, no consideration has really been given to the
21 owners of the homes who want hardwood floors and want to
22 have them refinished, want to have them installed, et

For The Record, Inc.
Washington Metro (301)870-8025
Outer Maryland (800)921-5555

1 cetera. I did that myself very recently, had that done.
2 And that should be something that should be taken into
3 consideration because they will not be able to be repaired,
4 maintained and refinished properly if this rule goes into
5 effect.

6 In summary, we do not believe that the agency has
7 done what it really needs to do, conduct its own
8 independent analysis of this rule to see how it will affect
9 the citizens of this state.

10 The Department has basically taken a model rule
11 that was supposed to be utilized for all the states in the
12 Northeast but there are vast differences between what
13 happens in the Northeast in terms of temperature, humidity,
14 et cetera, and what the weather and everything else is like
15 in California, which is one of the bases for the SCM. It's
16 California's SCM but things in California are a lot
17 different than they are in the northeast United States.

18 We think the much better approach is to look at
19 the reliable data that Mr. Splitstone testified to and
20 extrapolate what the real emissions savings are going to be
21 as a result of using the reliable data and we think the
22 State will find that its emissions savings are considerably

1 more than what was predicted by OTCs consultant, Pechan.
2 If there any questions we'd be happy to answer them. If
3 there are no questions, thank you, very much.

4 MS. RABIN: Thank you, very much. Would anyone
5 else like to comment?

6 MR. SELL: I would. Hearing officer, my name is
7 James Sell. I'm senior counsel with the National Paint and
8 Coatings Association and I want to provide some background
9 information about a number of the coatings that are at
10 issue here this afternoon. I endorse what Sherwin-Williams
11 said. They are members of the NPCA and we work closely
12 with them throughout this process. Just by way of
13 background information NPCA is comprised of approximately
14 400 member companies throughout the United States and also
15 internationally.

16 And a number of these coatings manufacturers
17 manufacture consumer paint products and industrial
18 maintenance coatings. Also, we have members who provide
19 the raw materials for these coatings. So we have a fairly
20 good handle on how these coatings are made, their
21 performance characteristics and the technology necessary to
22 have them perform adequately.

For The Record, Inc.
Washington Metro (301)870-8025
Outer Maryland (800)921-5555

1 Also, we have a great interest in the proposed
2 rule obviously. As the preeminent organization
3 representing the coatings industry in the United States,
4 NPC has been extensively involved in the development of
5 environmental regulations affecting the industry.

6 Over the last 20 years this involvement has
7 increasingly included clean air issues. It would be a
8 mistake however to assume that the industry had been idle
9 in this connection prior to the establishment of the clean
10 air regulatory developments. Its efforts to reduce solvent
11 materials from coatings long predate the federal and state
12 clean air regulatory requirements.

13 Beginning with the end of World War II this
14 industry began to introduce latex and waterborne coatings.
15 The coatings now represent over 80 percent, over 80 percent
16 of the architectural or residential coatings applied today
17 in the United States.

18 Additionally, waterborne coatings are finding
19 their way increasingly into industrial and commercial and
20 OEM coatings applications. In other words, the technology
21 has made great strides since the end of World War II and
22 moreover it is expected to continue to improve in the

For The Record, Inc.
Washington Metro (301)870-8025
Outer Maryland (800)921-5555

1 future.

2 There are very simple economic reasons for this
3 movement aside from regulatory demands for lower solvent
4 paint. First and foremost our customers prefer to use it
5 for among other reasons of low odor and also its ease of
6 cleanup.

7 Secondly, our members prefer to make it. Water
8 costs less than solvent and you don't have the flammability
9 issues in your plants when you're using water as opposed to
10 solvent material. So even without the Clean Air Act
11 requirements these advances would have occurred.

12 More importantly, this industry's R and D is a
13 constant exercise to improve a coating's acceptability and
14 competitiveness in the market. Our industry is
15 intentionally competitive with relative low margins and
16 with the overall demand for coatings strictly tied for the
17 most part to population growth. Reduced solvent content is
18 a major needs for achieving product performance in this
19 very tough market so long as it does not compromise
20 coatings performance.

21 Ms. Harding has given you a number of examples of
22 where the VOC limits in this proposed rule, in fact,

For The Record, Inc.
Washington Metro (301)870-8025
Outer Maryland (800)921-5555

1 compromise coatings performance. There are other examples
2 which she did not allude to because she was concentrating
3 on a particular sector, the Sherwin-Williams coatings
4 market, but the issues that she is raising for those
5 particular coatings also apply to a number of other
6 coatings in the rule.

7 This last point about compromising product
8 performance is an extremely important one and it is
9 important not only from the perspective of product
10 warranties but also from the perspective of improving clean
11 air itself. It stands to reason that if a coating must be
12 applied more often or does not last as long -- all
13 performance characteristics Ms. Harding alluded to and
14 pointed out -- there will be more recoating.

15 Even if this is with a lower VOC coating the net
16 result will be an actual increase in VOC emissions because
17 more of the coating is being used.

18 The expectations of regulations can sometimes
19 exceed the realistic possibilities of a coating's
20 technology where too low of a VOC limit can actually
21 eliminate better performing, viable low VOC waterborne
22 coatings.

For The Record, Inc.
Washington Metro (301) 870-8025
Outer Maryland (800) 921-5555

1 We believe the proposed AIM rule does this,
2 sacrifices key performance characteristics of coatings in
3 the pursuit of lower VOC coatings that will not, in fact,
4 deliver a net reduction in VOC emissions. Instead they
5 will increase VOC emissions and simultaneously impose
6 higher costs on the end users and the public.

7 Let me give you an example in addition to the ones
8 that Madelyn provided. one of our coatings manufacturers
9 has developed a material that was identified in July 2002
10 Consumer Reports as being excellent in all categories of
11 performance including toughness and hiding.

12 These two features mean that this particular
13 coating has fewer VOC emissions both in the application of
14 the coating because of the high coverage capability and
15 also in the recoating because it is more durable. These
16 coatings cannot be made at the VOC limit specified in the
17 Maryland proposed rule.

18 I'm concentrating on waterborne coatings in this
19 discussion because this is the technology through which
20 most of the VOC emissions reductions have and will continue
21 to be achieved by our industry. But the performance
22 problems that the low VOC limits specified in the Maryland

For The Record, Inc.
Washington Metro (301) 870-8025
Outer Maryland (800) 921-5555

1 rule demonstrate that there are limits as to how far the
2 waterborne technology can be pursued or pushed.

3 Included in our materials is an excellent article
4 written by a manager from Rohm & Haas which is an
5 international supplier of paint raw materials. And this
6 particular company has taken an extremely aggressive
7 development posture with respect to developing waterborne
8 resins and materials to make these coatings.

9 Besides being a very good basic primer on the ways
10 and wonders of waterborne technology it also contains a
11 very honest assessment of the performance trade-offs that
12 will occur with the technology as it exists today and for
13 the foreseeable future.

14 He discusses, for example, the soft binders
15 required of low solvent waterborne coatings and states that
16 in contrast when you formulate with a waterborne softer
17 binders it forces low solvent paint makers to make some
18 very difficult choices. These choices can be as between to
19 obtain good hardness and block resistance low temperature
20 film formation may not be possible.

21 And that's an important statement. In order to
22 get the durability factors low temperature film formation

For The Record, Inc.
Washington Metro (301)870-8025
Outer Maryland (800)921-5555

1 may not be possible. What he's talking about there is the
2 ability to apply that coating in a relatively cooler
3 environment in your late fall periods and in your early
4 spring periods.

5 That has a direct impact on ozone formation
6 because as we all know ozone only gets formed in the hot
7 months during the summer. So what he's trying to indicate
8 here is that some of these coatings if you push them too
9 far will not be able to be used in these low temperature
10 months and are now going to be crowded into the high
11 temperature months where, in fact, there is ozone
12 formation.

13 He also talked about some of the detrimental
14 effect on scrub resistance which is crucial in kitchens and
15 children's rooms and the like. He also notes that the
16 absence of other solvents such as glycol makes freeze-thaw
17 stability highly problematic. That's a central issue in
18 this part of the country because freeze-thaw of waterborne
19 coatings if they're exposed to weather conditions below
20 freezing and they don't have sufficient solvent in them
21 they will actually go south in such a way that you cannot
22 use the material at all.

For The Record, Inc.
Washington Metro (301)870-8025
Outer Maryland (800)921-5555

1 Now, there have been companies within our
2 membership and elsewhere that have made a determination
3 that they're going to, to some degree, jettison some of
4 their freeze-thaw stability in order to preserve these
5 other crucial aspects of the coatings because the materials
6 in the VOC levels that are being specified by these rules
7 are forcing those kinds of hard choices.

8 We have raised that issue but it's never been
9 examined in terms of what is the impact upon the energy
10 consumption and the energy usage where you now have to heat
11 trucks more often when they're traveling in the winter.
12 You have to heat your warehouses more often.

13 Those kinds of things we think would have been
14 examined in a well-thought-out rule that evaluated all of
15 the costs and the consequences of going to some of these
16 lower VOC materials but unfortunately that did not occur in
17 the CARB survey. It did not occur at the OTC level and it
18 didn't occur here in Maryland.

19 Another important aspect of this article and I
20 really recommend that you read it the manager concludes
21 that progress over time will be made into performance gap
22 between conventional and low solvent chemistry will

For The Record, Inc.
Washington Metro (301)870-8025
Outer Maryland (800)921-5555

1 diminish. The term he uses is diminish. I think that's a
2 very interesting choice of words. Here is a knowledgeable
3 individual with every economic incentive -- his company
4 after all is making these materials -- to want to really
5 push them.

6 And he has every economic incentive to say that
7 this difference will in fact disappear completely but still
8 because he's an honest broker of information says they're
9 going to diminish over time. So these differences are
10 going to stay with us between waterborne and solvent-borne
11 technologies.

12 Moving to the very low waterborne technology in
13 the manner of the proposed rule of Maryland carries with it
14 the potential acceptance of a number of these trade-offs of
15 the type described and discussed in the Rohm & Haas article
16 and also the type that Madelyn mentioned.

17 None of these real world consequences were
18 examined in the Maryland rule-making. Instead they are
19 ignored or assumed away. And they are assumed away largely
20 on the basis of an uncritical adoption of limits in a rule
21 that was adopted in California, a state with much more
22 benign weather than Maryland, a state in which freeze-thaw

For The Record, Inc.
Washington Metro (301)870-8025
Outer Maryland (800)921-5555

1 is not an issue in its most populated areas, a state in
2 which cold temperature applications and durability of
3 coating under the yearly extreme temperature swings in this
4 state are not an issue.

5 In the high population centers of California, its
6 coastline area and nonmountainous areas, there are no
7 freeze cycles at all. Last year there were none. In
8 contrast Maryland had over a hundred.

9 Also, it's noteworthy that Rohm & Haas maintains
10 two separate field testing and exposure stations in these
11 areas, one in California and one in the Northeast precisely
12 because of the radical different climatic conditions.

13 The Maryland rule-making reflects its reliance on
14 the fact findings of the underlying California rule-makings
15 including the cost associated with the rule's limits.

16 But surely even if one wishes to emphasize that
17 indeed California does have cold winters in its mountainous
18 areas and thus could affect coatings there a common sense
19 evaluation of the relative impacts on the coatings because
20 of weather conditions between Maryland and California would
21 have to take into account that most of these coatings are
22 being applied in an area where they have no freeze

For The Record, Inc.
Washington Metro (301)870-8025
Outer Maryland (800)921-5555

1 temperatures at all, would have to recognize the very large
2 relative difference, a difference that matters, a
3 difference that has tremendous implications for the cost of
4 these coatings and also for the clean air that's going to
5 result.

6 This was not done in the rule-making.
7 Consequently, we think it is fatally flawed in its
8 evaluations of costs on industry, the consumer, small
9 businesses and its evaluation of environmental consequences
10 for the state.

11 Additionally, the reliance on California's
12 assessment of the availability of coatings at the low VOC
13 level also ignores the fact that even in California there
14 is substantial amount of product that are bought at the
15 higher VOC levels that are not reflected in the rule and
16 this results because they have exemptions and they have
17 averaging programs out there.

18 The averaging program is not allowed under the
19 Maryland rule. Nowhere in the record is there any
20 examination of why such products in California are still
21 used and demanded if, in fact, the coatings at the lower
22 VOC levels meet all of the performance requirements that

For The Record, Inc.
Washington Metro (301)870-8025
Outer Maryland (800)921-5555

1 are needed.

2 This is even more puzzling in the face of the
3 widely recognized fact that all things being equal,
4 consumers greatly prefer using lower VOC products,
5 primarily waterborne.

6 Also uncritically accepted in the Maryland record
7 is the so-called performance testing that was conducted in
8 California for some of these coatings. We will have more
9 to say about this in our written comments but suffice it to
10 say for now that these tests were poorly conducted and the
11 conclusions reached on the basis of them were not supported
12 by the facts and in our view in many cases were
13 preordained.

14 They wanted to find the lower VOC coatings worked
15 in fact. They conducted tests in a way that a coatings
16 manufacturer would not conduct a test and bring a coating
17 to market under those circumstances. And frankly, if you
18 take a look at the conclusions that were reached they
19 cherry-picked in many of these instances.

20 In addition to that, never have they ever
21 performed through any of the tests one of the most crucial
22 tests a coatings manufacturer will do in bringing a coating

For The Record, Inc.
Washington Metro (301)870-8025
Outer Maryland (800)921-5555

1 to market and that is to actually take the coating and
2 apply it field conditions. That's essential, particularly
3 for outside coatings applications. And as Madelyn pointed
4 out, too, they actually have a school where inside
5 applications in which there was a field test.

6 The reason it is important that the coating be
7 applied in the environmental conditions that it is going to
8 be used under is that those environmental conditions can
9 drastically affect the performance of the coating. If they
10 take it out and they apply it in a certain day where
11 there's a lot of humidity in the air and it's a waterborne
12 coating that can have an impact on dry times. It can have
13 an impact on the adhesion of the coating and the like.

14 If you simply take an apply a coating under the
15 pristine conditions of a lab, which is what they did, and
16 allow those lab -- those boards to cure for six months and
17 then take it outside and expose it to the elements that's
18 not what a paint manufacturer would do. And they certainly
19 wouldn't make 10,000 gallons and go to the public with that
20 kind of test behind it.

21 The National Paint and Coatings Association has
22 developed an alternative table of standards that also

For The Record, Inc.
Washington Metro (301)870-8025
Outer Maryland (800)921-5555

1 incorporates waterborne technology for many important large
2 volume coatings such as flat and nonflat coatings but our
3 suggested table of standards minimizes these trade-offs
4 while securing additional VOC emissions reductions beyond
5 those achieved by the National AIM Coatings VOC rule.

6 Additionally, our proposal would continue the use
7 of solvent-borne materials for stains and certain primers
8 and Cedars. Our limits we estimate would secure in excess
9 of the emissions purportedly secured by the Maryland rule
10 even under the assumptions used by Maryland.

11 In considering this issue we ask that you read the
12 submission made by Sherwin-Williams and the information
13 that was provided to you today in which the issue of the
14 Pechan report has come up and upon which the OTC in
15 Maryland has relied to estimate the VOC emission reductions
16 it expects from the OTC model rule.

17 I think Sherwin-Williams has convincingly
18 demonstrated that the emission reductions calculated in the
19 Pechan report upon which Maryland relies for the efficacy
20 of its proposed rule understates the actual emissions that
21 will be achieved.

22 The data if properly calculated supports

For The Record, Inc.
Washington Metro (301)870-8025
Outer Maryland (800)921-5555

1 acceptance of our table of standards and suggests that the
2 emissions reductions resulting from the implementation of
3 our table of standards will definitely exceed the 70
4 percent plus figure we have provided.

5 It has been suggested that the VOC limits of the
6 Maryland rule are now going into effect in California and
7 if there are problems with these coatings they will surface
8 in sufficient time to make any needed corrections in the
9 Maryland rule which will go into effect in 2005.

10 This is a false insurance policy. First, as
11 noted, the impact of California weather is radically
12 different. Second, the performance problems with which we
13 are concerned, such things as durability, take more than
14 two years to manifest themselves.

15 And finally, many of the higher VOC coatings as I
16 mentioned earlier will still be allowed through exemptions
17 and averaging programs that will allow the sale of the
18 higher VOC noncompliant coatings, an averaging program
19 which I again emphasize is not permitted under the Maryland
20 rule.

21 So in point of fact this so-called experiment or
22 real test of these lower VOC coatings will not be performed

For The Record, Inc.
Washington Metro (301)870-8025
Outer Maryland (800)921-5555

1 adequately in California. It will occur in the hothouse
2 environment of California. Instead it's going to be
3 conducted here in Maryland in 2005 with all the potential
4 problems no longer hypothetical but real and current.

5 For those reasons we would ask Maryland to
6 reconsider its proposal and to go back to the drawing
7 board, incorporate some of the suggestions we have made,
8 our table of standards, evaluate them realistically in
9 light of the kind of information that has been provided by
10 Sherwin-Williams concerning the calculation of the VOC
11 emission reductions and essentially give this more time and
12 take a closer look at it and really evaluate it truly in
13 the context of a coating from California, limits that are
14 going to be applied here in Maryland as opposed to limits
15 that were established in California. That concludes my
16 remarks. I'll be glad to take any questions.

17 MS. RABIN: Thank you very, Mr. Sell.

18 MR. SELL: Thank you.

19 MS. RABIN: If those present would like the
20 Department could reconvene this meeting, this public
21 hearing this Friday, January 28th at 10:00 a.m. to
22 accommodate those who were not able to attend today.

For The Record, Inc.
Washington Metro (301)870-8025
Outer Maryland (800)921-5555

CERTIFICATE OF REPORTER

1
2
3 I, Deborah Turner, CVR, do hereby certify that the
4 foregoing proceedings were electronically recorded by me
5 via audiotape and reduced to typewriting under my
6 supervision; that I am neither counsel for, related to, nor
7 employed by any of the parties to the action in which these
8 proceedings were transcribed; that I am not a relative or
9 employee of any attorney or counsel employed by the parties
10 hereto, nor financially or otherwise interested in the
11 outcome in the action.
12
13
14
15

16 DEBORAH TURNER, CVR
17
18
19
20

21 My commission expires: 02/01/2006
22

For The Record, Inc.
Washington Metro (301)870-8025
Outer Maryland (800)921-5555

EXHIBIT 4

Increase in limit => increase in emission reductions

Coating	Base VOC Range	Upper Limit	Constant Gallons Assumption		Constant Solids Assumption	
			At the Limit	Over the Curve	At the Limit	Over the Curve
Sanding Sealers	SB 301 to 350	350	1,098,835	1,175,573	671,165	671,165
Sanding Sealers	SB 351 to 400	400	797,464	1,158,560	2,023,654	1,002,151
Sanding Sealers	SB 451 to 500	500	197,803	255,245	700,275	703,430
Sanding Sealers	SB 501 to 550	550	20,384	26,778	71,543	73,337
Sanding Sealers	SB 551 to 600	600	10,044	21,506	54,619	62,307
Sanding Sealers	SB 601 to 650	650	3,498	19,166	52,598	58,899
Sanding Sealers	SB 651 to 700	700	1,359	4,920	9,758	13,748
Sanding Sealers	SB 701 and Above	750	0	0	0	0

Increase in limit => increase in emission reductions

Coating	Base	VOC Range	Upper Limit	Constant Gallons Assumption		Constant Solids Assumption	
				At the Limit	Over the Curve	At the Limit	Over the Curve
Primers	SB	0 to 050	50	32,179,490	37,009,982	37,065,802	37,065,802
Primers	SB	101 to 150	150	22,290,907	35,763,450	30,065,344	36,309,142
Primers	SB	151 to 200	200	17,313,324	21,745,815	9,999,800	26,255,854
Primers	SB	201 to 250	250	12,377,511	14,575,436	18,452,542	20,584,427
Primers	SB	251 to 300	300	7,725,934	11,425,909	16,181,155	17,304,263
Primers	SB	301 to 350	350	4,543,494	6,526,545	8,803,733	9,617,325
Primers	SB	351 to 400	400	2,426,909	4,769,765	5,350,151	7,395,238
Primers	SB	401 to 450	450	1,085,863	3,042,817	3,690,160	5,252,259
Primers	SB	451 to 500	500	507,182	1,481,127	1,403,048	2,531,065
Primers	SB	501 to 550	550	203,979	1,025,678	798,240	1,782,821
Primers	SB	551 to 600	600	79,480	273,892	268,290	470,038
Primers	SB	601 to 650	650	41,083	173,095	209,894	305,801
Primers	SB	651 to 700	700	19,534	152,452	145,964	269,404
Primers	SB	701 and Above	750	0	0	0	0

VOC reductions => negative emission reductions

Coating	Base VOC Range	Upper Limit	Constant Gallons Assumption		Constant Solids Assumption	
			At the Limit	Over the Curve	At the Limit	Over the Curve
Quick-dry Primers	SB 251 to 300	300	4,162,547			
Quick-dry Primers	SB 301 to 350	350	2,698,270	2,247,529	3,786,233	2,824,345
Quick-dry Primers	SB 351 to 400	400	1,301,649	2,052,301	1,792,405	2,601,080
Quick-dry Primers	SB 401 to 450	450	(12,055)	1,480,357	1,181,820	1,938,055
Quick-dry Primers	SB 451 to 500	500	116,240	212,779	407,475	416,632
Quick-dry Primers	SB 501 to 550	550	75,269	122,096	224,080	247,871
Quick-dry Primers	SB 551 to 600	600	54,508	121,996	213,452	247,701
Quick-dry Primers	SB 601 to 650	650	33,810	119,633	(977,395)	240,733
Quick-dry Primers	SB 701 and Aba	750	0	0	0	0

VOC reductions => negative emission reductions

Coating	Base VOC Range	Upper Limit	Constant Gallons Assumption		Constant Solids Assumption	
			At the Limit	Over the Curve	At the Limit	Over the Curve
Opaque Stains	WB 0 to 050	50			197,481	197,481
Opaque Stains	WB 051 to 100	100			5,708	40,686
Opaque Stains	WB 101 to 150	150	113,410	16,781	191,194	158,307
Opaque Stains	WB 151 to 200	200	(16,959)	(14,636)	4,513	10,223
Opaque Stains	WB 201 to 250	250				8,598
Opaque Stains	WB 251 to 300	300	2,579	1,645	993	1,955
Opaque Stains	WB 301 to 350	350	0	0	0	0

Increase in limit => increase in emission reductions AND VOC reductions => negative emission reductions

Coating	Base VOC Range	Upper Limit	Constant Gallons Assumption		Constant Solids Assumption	
			At the Limit	Over the Curve	At the Limit	Over the Curve
Sealers	WB 0 to 050	50	59,207	58,647	246,561	246,561
Sealers	WB 051 to 100	100	248,952	223,939	240,044	240,993
Sealers	WB 101 to 150	150	112,329	141,807	160,965	176,329
Sealers	WB 151 to 200	200		14,659		28,737
Sealers	WB 201 to 250	250				13,816
Sealers	WB 251 to 300	300	2,933	2,505	4,720	5,165
Sealers	WB 301 to 350	350	0	0	0	0

EXHIBIT 5

CALCULATION OF EXPECTED EMISSION REDUCTION PERCENTAGE

	<u>Emissions (tons/day)</u>	<u>Emissions (tons/yr)</u>	<u>2000 Population</u>	<u>Emissions per capita (# /yr)</u>	<u>Emission Reduction (%)</u>
California Survey of 2000 Sales of Architectural Coatings	137	50,002	33,871,648	2.95	
CA statewide net emission reduction after emission reduction adjustments	14				
CA statewide net emission post proposed rule	123	44,895	33,871,648	2.65	
Post-national rule emission factor				5.36	
Final emission reduction percentage (after emission reduction adjustments)					51%

CALCULATIONS OF EXPECTED EMISSIONS REDUCTIONS

	<u>Total Emissions with Thinning (tons per day)</u>	<u>Total Emissions with Thinning (tons per year)</u>	<u>Total 2000 Population</u>	<u>Emissions per capita (pounds per year)</u>	<u>Emission Reduction (Percentage)</u>
California Survey of 2000 Sales of Architectural Coatings	137	50,002	33,871,648	2.95	
California emissions after SCM	115	41,975	33,871,648	2.48	
Maryland					
Population			5,296,486		
MD current emissions, based on Pechan's post-national rule factor		14,195		5.36	
MD should expect emissions after the rule of		6,568		2.48	54%
Correction for industrial maintenance limit difference MD vs CA		6,477		2.45	54%
Emission Reduction Adjustments to CARB rule (using CARB 2000 survey data)					
FLOOR - SOLVENTBORNE		40			
PRIMERS -- FOR EXTERIOR WOOD SUBSTRATES		0			
SANDING SEALERS*		0			
STAINS		119			
CLEAR & SEMITRANSSPARENT		0			
VARNISHES*		0			
<u>TOTAL emission adjustment</u>		159			
Maryland - with Industrial Maintenance Limit & Sherwin-williams Issues Satisfied					
Net emissions with rule		6,637		2.51	53%

CALCULATION OF EXPECTED EMISSION REDUCTIONS

	<u>Total Emissions with Thinning (tons per day)</u>	<u>Total Emissions with Thinning (tons per year)</u>	<u>Total 2000 Population</u>	<u>Emissions per capita (pounds per year)</u>	<u>Emission Reduction (Percentage)</u>
California Survey of 2000 Sales of Architectural Coatings	137	50,002	33,871,648	2.95	
Emission Reduction Adjustments to CARB rule (using CARB 2000 survey data)					
FLATS -- EXTERIOR ONLY	0.34				
FLOOR - SOLVENTBORNE	0.70				
INDUSTRIAL MAINTENANCE LIMIT DIFFERENCE (CARB vs OTC)	1.54				
LACQUERS	1.87				
NONFLAT-HIGH GLOSS*	0.00				
NONFLATS - LOW AND MEDIUM GLOSS	0.43				
PRIMERS -- FOR EXTERIOR WOOD SUBSTRATES	0.00				
QUICK DRY ENAMELS	0.68				
QUICK DRY PRIMERS SEALERS UNDERCOATERS	0.32				
SANDING SEALERS*	0.00				
STAINS	2.09				
CLEAR & SEMITRANSSPARENT					
OPAQUE					
VARNISHES*	0.00				
<u>TOTAL emission sacrifice</u>	<u>8</u>				
CA statewide net emission reduction after reduction Adjustments	14				
CA statewide net emission post proposed rule	123	44,895	33,871,648	2.65	
Pechan's Report shows a post-national rule emission factor				5.36	
Final emission reduction percentage					51%
Maryland					
Population			5,296,486		
MD current emissions, based on Pechan's post-national rule factor		14,195		5.36	
MD emissions, based on Pechan, post-proposed rule		9,798		3.70	
MD emissions, based on this analysis, post-proposed rule		7,018		2.65	
ADDITIONAL EMISSION REDUCTIONS, even after reduction Adjustments	7.6	2,781			

*CARB claimed 0 reduction -- NPCA recommended limit matches majority of the data



Emission Reduction Adjustments to CARB rule (using CARB 2000 survey data)

<u>Limit</u>	<u>Rule Categories</u>	<u>Emissions (tons/day)</u>
150	Exterior flats	0.34
380	Solventborne Floor Coatings	0.70
340	Industrial Maintenance (Limit difference OTC vs. CARB)	1.54
680	Lacquers	1.87
380	Nonflats - High Gloss*	0.00
250	Nonflats - Low and Medium Gloss	0.43
350	Primers - Exterior Wood Surfaces	0.00
380	Quick Dry Enamels	0.68
350	Quick Dry Primers	0.32
550	Sanding Sealers*	0.00
	Stains	2.09
550	Clear & Semi-transparent	
350	Opaque	
450	Varnishes*	0.00
	TOTAL Emission Adjustment	8
	CA statewide net emission reduction after reduction adjust	14
	CA statewide net emission post-proposed rule	123

*CARB claimed 0 reduction -- NPCA recommended limit matches majority of the data

EXHIBIT 6

MARYLAND DEPARTMENT OF THE ENVIRONMENT

In the Matter of Proposed new Regulations .01-.14 under a new chapter,

COMAR 26.11.33 Architectural Coatings

WRITTEN COMMENTS OF DOUGLAS SPLITSTONE

REGARDING

CONCERNS WITH PECHAN DATA RELIABILITY

January 28, 2004

CONCERNS WITH PECHAN DATA RELIABILITY

D. E. Splitstone
Principal
Splitstone & Associates

In the Data Quality Objectives Act, P.L. 106-554, Congress required the Office of Management and Budget (OMB) to issue government-wide guidelines that "provide policy and procedural guidance to Federal agencies for ensuring and maximizing the quality, objectivity, utility and integrity of information (including statistical information) disseminated by Federal agencies." In accordance with that directive, the OMB set forth the requirements for agencies, defining the term "objective" to mean that, "[w]here appropriate, supporting data should have full, accurate, transparent documentation, and error sources affecting data quality should be identified and disclosed to users." 66 FR 49718. (OMB, September 28, 2001). The regulation continues:

B. In addition, "objectivity" involves a focus on ensuring accurate, reliable, and unbiased information. In a scientific or statistical context, the original or supporting data shall be generated, and the analytical results shall be developed, using sound statistical and research methods.

In compliance with the OMB's directive, in October 2002 the EPA issued comprehensive Guidelines for Ensuring and Maximizing the Quality, Objectivity, Utility, and Integrity of Information Disseminated by the Environmental Protection Agency. EPA/260R-02-008. The stated purpose of the EPA's Guidelines is to ensure that the agency achieves its mission of protecting human health and the environment by utilizing and disseminating "quality information," which is information that comports with EPA's high standards of objectivity, integrity, and utility." Id. at §§ 2.1, 5.1. The data and methods used pursuant to these standards must be both transparent and reproducible, among other qualities.

Utility

It is my understanding that the basis for the Ozone Transport Commission's (OTC's) Model Rule for architectural and industrial maintenance (AIM) coatings is found in the report entitled Control Development Support Analysis of Ozone Transport Commission Model Rules prepared by E. H. Pechan & Associates (Pechan, 2001) and Pechan's analysis of survey data supporting the conclusions of that report. The survey data relied upon by Pechan is apparently the result of two separate surveys. The results of one survey conducted in 1992-93 by Industry Insights (1993) for the National Paints and Coating Association (NPCA) were employed in estimation of the volatile organic compound (VOC) emissions reduction associated with the proposed rule (Pechan 2001, p. 15). To attempt to assess the market impact of the OTC Model Rule Pechan conducted a survey in 2000-2001 apparently to investigate potential compliance of products on the market at that time.

Neither survey employed a random selection of participants, and each relied heavily on a volunteer response. Therefore, the "representativeness" of the results in regard to the industry and/or any geographical area is in question. Accepted statistical principles and practices require that there

be a random selection of subjects from the target population or sub-population of interest in order to support any claim of representative results.

According to the "Final Draft Report" prepared by Industry Insights (1993) for NPCA, survey forms were mailed to 950 companies identified as possible manufacturers of AIM products. A total of 173 companies responded, only an 18 percent response rate, and of those, 114 admitted to manufacturing AIM products in 1990. The claim is made that this represents 76.6 percent of the total gallons of AIM products produced in 1990. However, while these results may comprise 76.6 percent of the total volume of sales, its representation of the total quantity of VOC emissions is in question. It is likely that the larger manufacturers did respond. They are the producers of lower VOC products, thus perhaps biasing the results toward lower VOCs emitted from existing products than actually occurs.

The market survey conducted by Pechan began with the selection of the "top 31 national manufacturers" for eleven categories of coatings based upon the results of surveys conducted by the California Air Resources Board. Regional manufacturers were added to the target list of companies based upon consultation with NPCA. Thirty-two companies were apparently sent requests for information regarding VOC content and sales volume of their products. Only eighteen of those companies responded. These responses were then used to compare the degree of compliance in the ozone transport region (OTR) with that observed in California. One must question just how representative the 32 companies on the target list are of all manufacturers selling products in the OTR. In truth the target population for this survey is that defined by the sample selected. They are the larger manufacturers. Inferences regarding the percent compliance must be limited to this population.

Apparently no attempt was made in either survey to deal with the widely recognized survey sampling issue of "nonresponse." Although I do not claim to be an expert in survey sampling, I am aware that a nonresponse bias often exists and it is a function of the proportion of nonresponse (See for instance Cochran 1963, pp 355-389). Given the lack of specificity in clearly defining the population for which inferences from these surveys can be made and the possible existence of nonresponse bias one must question the utility of these results to the AIM rule-making process.

Reproducibility and Transparency

Pechan indicates that the 31 percent VOC emissions reduction claimed for implementation of the AIM Coatings model rule was computed using information from data provided by the Industry Insights Survey (Pechan 2001, p.15). The link between the claimed reduction and the data is allegedly provided by a spreadsheet identified as AIMCalc.wk1 transmitted to Mr. Bob Nelson of NPCA as an email attachment by Mr. Daniel S. Brinsko of NYSDEC on May 15, 2001.

Based upon my review of this spreadsheet, review of the Insight Survey, and telephone discussions with Mr. Bob Nelson and Ms. Madelyn Harding, the following is my understanding of the content of this spreadsheet. The block defined by rows 12 through 113 and columns A through Z provides a lookup table giving various control scenarios. Rows 133 to 708 contain the calculation of VOC emissions reduction by coating (column A), base (column B) and regulatory VOC range in 50

grams per liter (g/l) increments. The actual VOC emissions in pounds per year (lbs/yr) for each coating as reported by the Insights survey are given in column D. The upper limit of each VOC range is given in column F.

It is my understanding that the estimated possible cumulative emission reduction in lbs/yr for each VOC range and emission scenarios identified as "At the Limit" and "Over the Curve" under the "Constant Gallons Assumption" are given in columns F and G, respectively. Similarly, the estimated possible cumulative VOC emission reduction for "At the Limit" and "Over the Curve" under the "Constant Solids Assumption" are given in columns, H and I respectively.

The estimated VOC reductions in lbs/yr given a control scenario are presented in columns K through N for the corresponding emission scenarios presented in columns F through I. The estimated VOC reduction given in column K through N is simply the selection of that value of cumulative emissions reduction from the corresponding column F through I and that row where the upper bound of the regulatory VOC range is less or equal to the limit specified by the proposed control scenario.

I have discussed the calculation of the cumulative emission reductions presented in columns F through I with Mr. Bob Nelson and Ms. Madelyn Harding. Their understanding of what was done together with my review of the various reports and information available leads me to conclude that the logic behind these calculations is anything but transparent. Logically the maximum emission reduction for any scenario would be the total estimated emissions. Therefore, one would logically expect at least one of the values in columns F through I and the first row of a coating/base combination to be the same as the actual estimated emissions for that coating/base combination. The only time this is true is for Bituminous Coatings/Solventborne.

Given the possibility that the previous logical expectations were false, I have tried to reconstruct the cumulative emission reduction for the "Constant Gallons Assumption" (columns F and G) for the Exterior Flat/Solventborne category. Given the data presented in the Industry Insights report this category seemed the least troubled by gaps due to confidentiality consideration. Various scenarios were considered including all gallons estimated at the low, or alternatively the high, limit of the VOC range. None of these attempts to reproduce the results have come close to the numbers presented. The logic used to derive these estimated cumulative emission reduction remains unknown. Indeed what ever reasoning was employed defies logical expectation as it has resulted in negative emission reductions in several instances. This is notable for column "H" for lines 397, 433, 467, 468, 547 and 623 which serve as the basis for Pechan's emission reduction claim for the Model Rule.

In addition to the lack of transparency in estimating the VOC emission reduction, it is indeed doubtful that the results could be reproduced from the available information even if the methods of calculation were known. The confidential nature of the Insights survey data resulted in not reporting data when it might compromise that confidentiality. Thus there are various data gaps which may never be filled and/or overcome due to the fact that the persons or persons responsible for the data storage and summarization are no longer available according to Mr. Bob Nelson of the NPCA. The NPCA retains only a hard copy of the report of the survey results prepared by Industry Insights, Inc.

My review of the Industry Insight survey report tables revealed several instances in which the sales weighted "Actual VOC" emissions in pounds per gallon were not consistent with the VOC ranges given. These ranges are based upon the regulatory VOC content in grams per liter that subtracts the volume of water and exempt solvents from the denominator volume. Because the volume of water and exempt solvents is not subtracted from the denominator in calculating the sales weighted "Actual VOC" emissions the "Actual VOC" emissions must always be less than the regulatory VOC content when the units are consistent.

There are several cases within the tables presented in Volume I where the sales weighted "Actual VOC" emissions are greater than the upper limit of the regulatory VOC content range in which they appear. This obviously brings into question the quality assurance employed in the data tabulation of the Industry Insights survey report. Obviously, some anomalies regarding the emission classification of products occurred. The effects these potential mis-classifications have on the estimation of emission reductions based upon the Model rule is anyone's guess.

AIM Surveys Conducted by the CARB

The California Air Resources Board (CARB) has conducted surveys of the Architectural Coatings Industry at least seven times between 1976 and 2001. The California surveys include all sales of all products. It is apparent from their report that CARB conducted some follow-up on the nonresponding companies. These follow-up contacts solicited the reason for not responding. They included: 1) The company did not manufacture architectural coatings; 2) The company had no sales in the State of California during 2000; or their sales were reported by another company. The response rate for the 2001 survey was 75 percent as compared to an 18 percent response rate for the Industry Insights survey. The response rate to the 2001 CARB survey represents an increase over previous CARB surveys. The multiple surveys permit an objective assessment of the effect of nonresponses on the results.

Because the CARB staff has conducted multiple surveys and remains custodians of the resulting data, it is quite likely that calculations performed employing data generated as a result of these surveys are well documented and reproducible by the CARB staff or an independent party. Of course, said independent party must be subject to the confidentiality restrictions acceptable to the CARB and effected industry. The bottom line is that the utility of the CARB survey results can be objectively assessed and these results appear to be reproducible. Any data summarization has been well documented and transparent.

Sherwin-Williams' Estimate of Emission Reduction

I have reviewed the calculation of estimated emission reduction prepared by Sherwin William's staff and submitted as part of the record and found them to be well documented and based upon the use of credible survey results. The translation of the CARB survey results from California to the OTR using per capita emission rates is fully supported by EPA guidance (Radian 1995).

Summary Comment

It is my professional opinion that the supporting evidence for the OTC Model Rule for the AIM coatings provided by the Pechan report does not meet the criteria specified by the OMB for information to be used in rule-making. Specifically, the utility of the results is in question. How the resulting estimated emission reductions were achieved is anything but transparent. Even if they were, the data are not available so that an independent party could reproduce the results. The results of the Sherwin-Williams' proposed alternative instead of calculations of emission reductions is reproducible, transparent and its utility can be objectively assessed.

Respectfully submitted,

/s/

Douglas E. Splitstone

REFERENCES

Brinsko, Daniel S. 2001, Email to B. Nelson, Subject: AIM calculation, May 15, 11:59 AM (EST).

Cochran, William G., 1963, Sampling Techniques, John Wiley & Sons, New York, NY.

Industry Insights, Inc., 1993, Final Draft Report, Architectural and Industrial Maintenance Coatings VOC Emissions Inventory Survey, Volume I, May 28.

Industry Insights, Inc., 1993, Final Draft Report, Architectural and Industrial Maintenance Coatings VOC Emissions Inventory Survey, Volume II, June 7.

Pechan, E. H. & Associates, Inc. 2001, Control Measure Development Support Analysis of Ozone Transport Commission Model Rules, Prepared for the Ozone Transport Commission, Pechan Rpt. No. 01.02.001/9408.000, March 31.

Radian Corp., 1995, Volume III: Chapter 3, Architectural Surface Coating, Air Resources Committee, Emissions Inventory Improvement Program, STAPPA ALAPCO EPA, November.

EXHIBIT 7

DOUGLAS E. SPLITSTONE

CREDENTIALS

Douglas E. Splitstone, Principal of Splitstone & Associates, has more than 35 years of experience in the application of statistical tools to the solution of environmental problems. He has served as a member of the Task Group on Epidemiology and Statistical Methodology for the USEPA's Center for Environmental Epidemiology at the University of Pittsburgh's Graduate School of Public Health; a member of the Peer Review Group, Salt Host-Rock Portion of the Department of Energy's Civilian Radioactive Waste Management Program for Argonne National Laboratory; a faculty member of the 1992 Health Physics Society's Annual Summer School; and a member of the adjunct faculty at The Pennsylvania State University and Indiana University of Pennsylvania. He has been a consultant to the USEPA's Science Advisory Board having served on the Air Toxics Monitoring Subcommittee; the Contaminated Sediments Science Plan review panel and the Environmental Engineering Committee's Quality Management and Secondary Data Use Subcommittees. His efforts in the application of statistical techniques to environmental problem solving were recognized by the American Statistical Association in 1993 with the award of the Distinguished Achievement Medal by the Section on Statistics and the Environment. He holds the degree of Master of Science in Mathematical Statistics awarded by Iowa State University in 1967.

TESTIMONY PRESENTED IN THE PAST

United States of America v. WCI Steel, Inc., Case No. 4:98CV1082, U.S. District Court, Northern District of Ohio

DeBaca, et al. v. ASARCO, Inc., Civil Action No. 97CV6180, District Court, City and County of Denver, State of Colorado.

United States of America v. WCI Steel, Inc., Case No. 4:95CV1442, U.S. District Court, Northern District of Ohio

Elf Atochem North America, Inc. V. United States and Witco Corp., Civil Action No. 92-7458, and United States v. Witco Corp., Civil Action No. 94-0662 Eastern District of Pennsylvania.

Remcor, Inc. v. Allegheny International, Inc., Adversary Proceeding No. 90-366, Federal Bankruptcy Court, Pittsburgh.

Nu-Car Carriers, Inc. v. Nutshell, Ltd., Civil Action No. JH-89-2676, U.S. District Court, Maryland.

The Class v. NLO Inc (The Fernald Litigation), Master File No. C-1-85-0149, U.S. District Court, Southern District of Ohio, Western Division.

U.S. Steel Corp., Gary Works Gary Indiana NPDES Permit IN0000281, Case NPDES-V-027(AH), USEPA Administrative Hearing, Region V.

United States and The People of the State of Illinois v. U. S. Steel Corp., Waukegan Works, No. 72 C 2503, U.S. District Court, Northern District of Illinois, Eastern Division.

PUBLICATIONS

- Ginevan, M.E. and D.E. Splitstone, "Statistical Tools for Environmental Quality Measurement," CRC Press, 2003.
- Ginevan, M.E. and D.E. Splitstone, "Bootstrap upper bounds for arithmetic mean, and the use on censored data." *Environmetrics*, Vol.13. 2002.
- Splitstone, D. E., "Sample support and related scale issues in composite sampling," *Environmental and Ecological Statistics*, Vol. 8 No. 8, June 2001.
- Ginevan, M.E. and D.E. Splitstone, "Risk-based geostatistical analysis and data visualization: Improving remediation decisions for hazardous waste sites." *Environmental Science & Technology* Vol. 31, No. , 1997 pp. 92-96.
- Ginevan, M.E. and D.E. Splitstone, "Risk-based Geostatistical Analysis of Hazardous Waste Sites: A Tool for Improving Remediation Decisions." *International Conference on Challenges and Innovations in the Management of Hazardous Waste*, Waste Policy Institute & Air and Waste Management Association, Washington, D.C., May 10-12, 1995 .
- Splitstone, D.E., "Remediation: Statistical Issues on Determination of Need," *Statistics in Environmental Applications Conference*, Delaware Chapter of the American Statistical Association, Newark, Delaware, April 23, 1995.
- Terril, M.E., K.C. Ou and D.E. Splitstone, "Case Study: A DDT Field Screening Technique to Guide Soil Remediation," *Ninth Annual Conference on Contaminated Soils*, University of Massachusetts at Amherst, October 1994.
- Splitstone, D. E., "Estimation of Contaminated Soil Volume," *Cost Efficient Acquisition and Utilization of Data in the Management of Hazardous Waste Sites*, Proceedings, Air & Waste Management Association, March 23-24, 1994, VIP-36, Pittsburgh, Pennsylvania.
- Splitstone, D. E., "Estimation of Contaminated Soil Volume," *American Chemical Society, Central Regional Meeting*, October 1, 1993, Pittsburgh, Pennsylvania.
- Splitstone, D. E., "The Deceptiveness of Averages," *Gateway Engineer*, July 1992.
- Splitstone, D. E., "A Statistician's View of Risk Assessment," *HAZMACON92*, Association of Bay Area Governments, April 2, 1992, Long Beach, California.
- Splitstone, D. E., "Statistical Analysis and Environmental Liability," *Continuing Education Course*, Association of Bay Area Governments, March 30, 1992, Long Beach, California.
- Splitstone, D. E., "How Clean is Clean...Statistically?" *Pollution Engineering*, March 1991, pp. 90-96.

- Splitstone, D. E., "What are we trying to do and how do we go about it?" U. S. Department of Energy Workshop on Planning for DOE Environmental Restoration, February 21-22, 1991, Santa Fe, NM.
- Splitstone, D. E., and W. Liggett, "History of the Section on Statistics and the Environment," *American Statistician*, May 1990.
- Splitstone, D. E., "When Do We Stop Remediating? The Compliance with Cleanliness Standards: A Statistical Perspective" Presented at the 28th Annual Hanford Conference on Environmental Monitoring, Richland, Washington, October 1989.
- Splitstone, D. E., "Part 7: A Statistician's View of Groundwater Monitoring," *Hazardous Materials Control*, Vol. 2, No. 2, Hazardous Materials Control Research Institute, March-April 1989.
- Splitstone, D. E., "Statistical Analysis of Groundwater Data for RCRA Compliance," The Pittsburgh Conference on Analytical Chemistry and Applied Spectroscopy, Atlanta, Georgia, 1989.
- Splitstone, D. E., "Practical Statistical Design Considerations for Field Investigations," The Pittsburgh Conference on Analytical Chemistry and Applied Spectroscopy, New Orleans, Louisiana, 1988.
- Splitstone, D. E. and R. C. Bryan, "Risk-Qualified Mapping of Polychlorinated Dibenzodioxin Contamination," *Solving Hazardous Waste Problems*, ed. J. H. Exner, American Chemical Society, Washington, D.C., 1987.
- Splitstone, D. E., "Sampling Design: Some Very Practical Considerations," ASA/EPA Conferences on Interpretation of Environmental Data, III Sampling and Site Selection in Environmental Studies, Proceedings, USEPA, May 1987.
- Splitstone, D. E., "A Statistician's View of Groundwater Monitoring," *Sampling and Monitoring Monograph Series*; Vol. 1, Hazardous Materials Control Research Institute, Silver Spring, Maryland, 1987.
- Splitstone, D. E., "Discussion of 'Scientific Data and Environmental Regulation,'" *Statistics and the Law*, ed. DeGroot, Fienberg & Kadane, John Wiley & Sons, New York, New York 1986.
- Splitstone, D. E., "Statistics and the Hazardous Waste Site," Annual Meeting of the American Statistical Association, August 5, 1985, Las Vegas, Nevada.

EXHIBIT 8

WILLKIE FARR & GALLAGHER^{LLP}

1875 K Street, NW
Washington, DC 20006-1238
Tel: 202 303 1000
Fax: 202 303 2000

June 2, 2004

VIA FACSIMILE (202-501-0986)/FEDEX

Jeff Holmstead
Assistant Administrator
Office of Air and Radiation
U.S.E.P.A.
Ariel Rios Building
1200 Pennsylvania Avenue, N.W.
Washington, D.C. 20460

Re: Request for Peer Review of the Ozone Transport Commission Model Rule for Volatile Organic Compounds for AIM Coatings as a Highly Influential Scientific Assessment Under OMB's Information Quality Bulletin for Peer Review

Dear Mr. Holmstead:

This letter is submitted, on behalf of The Sherwin-Williams Company ("Sherwin-Williams"), to request that the Environmental Protection Agency (EPA) undertake a peer review of the highly influential scientific Model Rule by the Ozone Transport Commission (OTC) that revised the standards for Architectural and Industrial Maintenance (AIM) Coatings. Various States have used the Model Rule as the basis for their State Implementation plans (SIPs) revising standards for the volatile organic compounds (VOCs) for AIM coatings and for the state rules submitted in support of such revisions. The data analysis underlying the Model Rule and thereby the SIP revisions, relies upon flawed data analysis. We request peer review of the information submitted in support of the Model Rule, including the analysis and data found in the report prepared by E.H. Pechan & Associates in 2001 (the "Pechan Report").

The Information Quality Bulletin for Peer Review released by OMB this April requires that each agency have a "peer review conducted on all influential scientific information that the agency intends to disseminate." *See* Bulletin for Peer Review at § II. 1. The Model Rule is a highly influential scientific assessment in that it "could have a clear and substantial impact on important public policies (including regulatory actions)." *Id.* at § III. 1. Consequently, the agency must adhere to specified peer-review procedures. Additionally, the peer reviewers must prepare a report that

June 2, 2004

Page 2

describes the nature of the review as well as their findings and conclusions. *Id.* at § III. 5. The agency must then prepare a written response to the peer review report, and the agency must make both documents available for public review and include the documents in the administrative record for any related agency action. *Id.*

EPA has not undertaken a peer review of the Model Rule, and no State has independently reviewed the data underlying the Model Rule. Moreover, under Section 183(e)(9) of the Clean Air Act, EPA must consult with States prior to the adoption of State regulations and must place rules and other information in support of such rules into a "clearinghouse" for dissemination to States. We believe that a peer review and consultation by the agencies will serve to identify the information quality issues related to the Model Rule and meet the goals of Section 183(e) to promote consistent national treatment of interstate consumer products, such as the paints, stains and varnishes, impacted by the Model Rule. Further, such peer review will seek to resolve information quality issues *before* the SIP is approved and required to be "disseminated" pursuant to the "clearinghouse" provisions of Section 183(e)(9).

Clearly, the Model Rule is highly influential scientific information, whereby States are seeking to impose numerous emission limitations that will be more stringent than the corresponding limits in EPA's regulation. Therefore, I request that OMB require a peer review of the Model Rule and its underlying data to ensure that the quality of data meets the standards of the scientific community.

Sincerely,

A handwritten signature in cursive script that reads "E. Donald Elliott".

E. Donald Elliott

cc: Paul Noe, Office of Management and Budget
Jane Kenny, Regional Administrator, Region 2
Don Welch, Regional Administrator, Region 3

EXHIBIT 9

CALCULATION OF EXPECTED EMISSION REDUCTION PERCENTAGE

	<u>Emissions</u> <u>(tons/day)</u>	<u>Emissions</u> <u>(tons/yr)</u>	<u>2000</u> <u>Population</u>	<u>Emissions per</u> <u>capita (# /yr)</u>	<u>Emission</u> <u>Reduction (%)</u>
Post-national rule emission factor				5.36	
California Survey of 2000 Sales of Architectural Coatings	137	50,002	33,871,648	2.95	
California emissions after the SCM	115	41,975	33,871,648	2.48	
Emissions after correction for industrial maintenance coatings	116.5	42,537	33,871,648	2.51	
Emission reduction per person after correction (5.36-2.51=2.85)				2.85	
Emission reduction percentage (2.85*100/5.36-53%)					53%