

U.S. ENVIRONMENTAL PROTECTION AGENCY (EPA)

TOXIC SUBSTANCES CONTROL ACT (TSCA)

Public Webinar
Managing Unreasonable Risks for 1-Bromopropane
under the Toxic Substances Control Act (TSCA)

September 30, 2020

PARTICIPANTS

PARTICIPANTS	
NIVA KRAMEK	EPA/OPPT
YVETTE T. COLLAZO	EPA/OPPT
ANA CORADO, PHD	EPA/OPPT/ECB
JOEL WOLF	EPA/OPPT/ECB
VINCENT BROWN	BATTELLE
PUBLIC COMMENTERS	
ROBERT M. SUSSMAN	SAFER CHEMICALS, HEALTHY FAMILIES
KATHLEEN WOLF	CONSULTANT
NICHOLAS CHARTRES, PHD	UCSF/PROGRAM ON REPRODUCTIVE HEALTH AND THE ENVIRONMENT/SCIENCE
GARY TIMM	EPN
BENJAMIN GANN	AMERICAN CHEMISTRY COUNCIL/CPTD
BARBARA KANEGSBURG	BFK SOLUTIONS

TABLE OF CONTENTS

INTRODUCTORY REMARKS 4

BACKGROUND ON RISK EVALUATION AND UNREASONABLE
RISK FINDINGS FOR 1-BROMOPROPANE 6

RISK MANAGEMENT REQUIREMENTS UNDER TSCA; TYPES
OF INFORMATION TO INFORM RISK MANAGEMENT; AND
PRINCIPLES FOR TRANSPARENCY DURING RISK
MANAGEMENT 15

PUBLIC COMMENTS 30

1 I'm going to provide an overview of the technical
2 aspects of the webinar and what to do if you need
3 assistance.

4 First, if you experience technical
5 difficulties, please email me at
6 kramek.niva@epa.gov. That's K-R-A-M-E-K.N-I-V-
7 A@E-P-A.G-O-V. And please also email Vincent
8 Brown at brownv@battelle.org. That's B-R-O-W-N-
9 V@B-A-T-T-E-L-L-E.O-R-G. For today's webinar
10 we'll be advancing the slides through the
11 presentation using Webex. You can also download
12 the slides from the 1-Bromopropane Risk Management
13 website. Today's agenda is also on that website.

14 Today's webinar will start with
15 presentations from several people from EPA. Then,
16 after the presentations, for those people who
17 signed up to make remarks, we'll have a period for
18 public comment. We're limiting the remarks to
19 five minutes per person. The webinar operator
20 will introduce the speakers during the public
21 comment period. If you've registered to make a
22 comment, please be sure you're connected properly
23 through Webex so the operator can unmute you.

1 Again, if there are technical issues, please email
2 me at kramek.niva@epa.gov and also Vince Brown at
3 brownv@battelle.org.

4 The Agency will not be answering
5 questions during the webinar. Please know there
6 are a variety of other forums that will be
7 described during the presentation if you have
8 questions or if you're interested in further
9 dialogues on risk management. With that, let's
10 start the webinar. Our speaker this morning is
11 Yvette Collazo, the new Director of the Office of
12 Pollution Prevention and Toxics. Thank you,
13 Yvette. Please start your remarks now.

14
15 **BACKGROUND ON RISK EVALUATION AND UNREASONABLE**
16 **RISK FINDINGS FOR 1-BROMOPROPANE**

17
18 **YVETTE COLLAZO:** Good morning.
19 Thank you, Niva, for the presentation. It's a
20 pleasure to be here today, and I'm opening today's
21 webinar to emphasize how much we value your input.
22 This is a usual forum for the Agency, for EPA, to
23 obtain public comment on the implementation of

1 TSCA and risk management of bromopropane or 1-BP.
2 Before I turn it over to my colleagues, Ana and
3 Joel, I want to leave you with a few thoughts.

4 With the amendments to TSCA that
5 were enacted in 2016, we've been building a new
6 regulatory program from the ground up. We've
7 taken some big steps in that process over the past
8 several months by issuing our first three risk
9 evaluations. The first one was methylene
10 chloride, which we held a webinar on earlier this
11 month. And the second risk evaluation is the 1-
12 BP, which you will hear about shortly.

13 In those two risk evaluations, we
14 identified unreasonable risk to workers,
15 occupational non-users, as well as consumers.
16 Now, we're taking the next step in the process by
17 moving to risk management. As you know, when
18 unreasonable risks are identified, TSCA requires
19 the Agency to undertake a rulemaking process to
20 address the unreasonable risks. Well, EPA wants
21 you involved early in that process.

22 We'll be using today to bring you up
23 to speed on the key provisions of TSCA as it

1 relates to risk management requirements, inform
2 you about the unreasonable risk findings for 1-BP,
3 and outline the next steps in the process. I want
4 to emphasize that now is a critical juncture for
5 you to be involved. We need and appreciate your
6 input, expertise, and feedback to help shape the
7 ways we're going to address the unreasonable risks
8 we found.

9 You will hear from Ana and Joel more
10 about how you can get in touch and get involved.
11 Thank you again for your interest in TSCA. On
12 behalf of the Office of Pollution Prevention and
13 Toxics, we look forward to our continued
14 collaboration. Thank you.

15 **DR. ANA CORADO:** Good morning.
16 Thank you, Yvette, for the introduction. I'm Dr.
17 Ana Corado, and I'm the point of contact for the
18 risk management of 1-bromopropane. I'm joined
19 today by the Chief of Existing Chemicals Branch,
20 Joel Wolf. And we will be presenting an overview
21 of the 1-bromopropane risk evaluation and the next
22 steps for risk management. We are looking forward
23 to your comments. Next slide.

1 The topics that we will be covering
2 today during this presentation include a
3 background on the risk evaluation process, the
4 unreasonable risk findings, and the risk
5 management requirements under TSCA, and then Joel
6 Wolf will talk about the type of information that
7 we'll use during risk management, principles of
8 transparency during risk management, and where to
9 find additional information. Next slide.

10 TSCA requires EPA to evaluate the
11 manufacture, including import, processing,
12 distribution in commerce, use, and disposal of
13 existing chemical substances and identify those
14 conditions of use which present unreasonable risk
15 to health or the environment. Such evaluation
16 should be done without consideration of cost or
17 other non-risk factors and should include
18 unreasonable risk to potentially exposed or
19 susceptible subpopulations relevant to the risk
20 evaluation. TSCA requires completing the risk
21 evaluation process within three to three and one-
22 half years.

1 The slide has a diagram illustrating
2 the risk evaluation process and the timeline. 1-
3 Bromopropane was one of the first ten chemicals
4 and was not subject to prioritization. The risk
5 evaluation of 1-BP has been completed with a
6 determination of which conditions of use present
7 unreasonable risk. Therefore, now we are in the
8 risk management action step of those conditions of
9 use with unreasonable risk. Next slide.

10 The final risk evaluation of 1-BP
11 was published August 11, and it was the
12 combination of a process that included the
13 publication of a draft risk evaluation, problem
14 formulation, and the scope document. Public
15 comments were received during the process. This
16 draft risk evaluation received 32 public comments
17 and was peer reviewed by the Science Advisory
18 Committee on Chemicals last September.
19 Information regarding the final risk evaluation
20 and additional materials can be found in the
21 dockets listed in Slide 5.

22 Slide 6 provides general information
23 on 1-bromopropane. 1-BP is a liquid volatile

1 chemical that is produced and imported into the
2 U.S. It is used as a reactant in the
3 manufacturing of other chemical substances, and it
4 is incorporated into formulations of other
5 products.

6 Other conditions of use identified
7 by EPA include distribution in commerce;
8 industrial, commercial, and consumer uses; and
9 disposal of 1-BP. Some of those industrial and
10 commercial uses of 1-BP include use as vapor
11 degreasing, in adhesives, and in dry cleaning.
12 Other consumer and commercial products that use 1-
13 BP as solvent includes jet cleaners and degreasers
14 for electronic and metal products and for
15 automotive paint products. The total production
16 volume of 1-BP in 2015 was 26 million pounds.

17 Slide 7 shows the life cycle diagram
18 for 1-BP. This diagram is from the risk
19 evaluation and illustrates the different
20 conditions of use identified and evaluated by EPA.
21 Next slide, please.

22 As a result of the risk evaluation,
23 EPA determined that 1-BP does not present an

1 unreasonable risk to the general population or the
2 environment under the conditions of use. Also,
3 EPA determined that the conditions of use listed
4 in this slide do not present unreasonable risk of
5 injury to health or the environment. The
6 conditions of use are manufacturing, both domestic
7 manufacture and import, processing as a reactant,
8 incorporation into articles, repackaging and
9 recycling, distribution in commerce, commercial
10 and consumer uses in insulation for building and
11 construction materials, and disposal.

12 This determination is considered a
13 final Agency action, and the risk evaluation is
14 the order required under TSCA. However, EPA found
15 several conditions of use that present
16 unreasonable risk to workers and occupational non-
17 users during occupational exposures and to
18 consumers and bystanders during consumer use. The
19 unreasonable risk was based on cancer and non-
20 cancer adverse effects from acute and chronic
21 inhalation and dermal exposures to 1-BP. EPA used
22 developmental toxicities based on post-
23 implantation loss in animal studies as the most

1 sensitive end-point for non-cancer adverse
2 effects.

3 Slide 10. The conditions of use that
4 present unreasonable risk are listed in the
5 following slides, including when 1-BP is processed
6 into formulations, mixtures of reaction products,
7 and in industrial degreasing operations in several
8 types of vapor degreasers, including batch vapor
9 degreasers, closed-loop, and also cold cleaners
10 and in aerosol spray degreasers and cleaners.

11 Slide 11 lists other industrial and
12 commercial uses that present unreasonable risk,
13 including in adhesives and sealants, in dry
14 cleaning solvents including spot cleaners and
15 stain removers, in liquid cleaners and in other
16 applications such as in automotive care product,
17 anti-adhesive agents, and laboratory use.

18 Slide 12 contains the full list of
19 consumer uses that present unreasonable risk. All
20 consumer uses, with the exception of insulation,
21 present unreasonable risk. Next slide.

22 As mentioned before, the
23 unreasonable risk determinations for workers and

1 ONUs, occupational non-users, are mainly due to
2 developmental toxicity from acute and chronic
3 inhalation exposures and due to cancer from
4 chronic inhalation exposures. In occupational
5 settings, the risk evaluation calculated risk
6 estimates for workers handling 1-BP and risk
7 estimates for occupational non-users, which are
8 workers in the vicinity doing other activities
9 that do not involve handling 1-BP directly. In
10 the risk evaluation EPA has reviewed use of
11 personal protective equipment for workers, and EPA
12 considered the fact that there is no OSHA PEL for
13 1-BP, although there is a recommended threshold
14 limited value of 0.1 ppm from the American
15 Conference of Governmental Industrial Hygienists.

16 In the case of 1-BP, many conditions
17 of use present an unreasonable risk to workers,
18 even when EPA assumes use of respirators with APF
19 of 50. Also, dry cleaning uses present
20 unreasonable risk due to dermal exposures since we
21 don't assume use of gloves in dry cleaning. And
22 EPA does not assume that ONUs use PPE because they
23 do not handle the chemical directly.

1 Slide 14 explains the basis for
2 unreasonable risk for consumers and bystanders.
3 EPA's determination is based on developmental
4 toxicity from acute inhalation and dermal
5 exposures, although EPA does not assume dermal
6 exposure for bystanders since they do not handle
7 the product containing 1-BP. Also, EPA does not
8 assume use of personal protective equipment by
9 consumers or bystanders. The unreasonable risk
10 determination was based on the high-intensity use.
11 But for many conditions of use, unreasonable risk
12 was also presented for low and moderate intensity
13 use.

14 With Slide 15, we start the
15 presentation regarding the risk management
16 requirements under TSCA. And I now will let Joel
17 Wolf continue with the presentation.

18
19 **RISK MANAGEMENT REQUIREMENTS UNDER TSCA; TYPES OF**
20 **INFORMATION TO INFORM RISK MANAGEMENT; AND**
21 **PRINCIPLES FOR TRANSPARENCY DURING RISK MANAGEMENT**
22

1 **JOEL WOLF:** Thanks a lot, Ana. And
2 thanks everyone for joining us today for this
3 discussion on 1-BP and the risk management
4 requirements under TSCA. For those of you that
5 participated in the methylene chloride webinar a
6 couple weeks ago, these slides are going to look
7 very similar to you. And you'll hear many of the
8 same topics discussed. But we want everyone to be
9 starting with the same understanding and framework
10 as we move into the risk management stage for
11 conditions of use that have identified
12 unreasonable risks.

13 Now that there have been conditions
14 of use that have identified unreasonable risks, we
15 now must address the unreasonable risk. And TSCA
16 Section 6(a) lays out the pieces that we'll use to
17 address the unreasonable risk. The rulemaking
18 itself needs to be one year to proposal from the
19 final risk evaluation and then two years from the
20 final risk evaluation to a final ruling. Which
21 for those of you involved with rulemakings, you
22 know that that's an extremely fast-paced schedule,

1 taking into account all of the factors that we
2 consider.

3 There are requirements that we need
4 to take into account as we craft our regulatory
5 approaches such as the alternatives, the statement
6 of effects, which I'll talk about later. And then
7 as you know and as Yvette indicated, we now have
8 three risk evaluations that are final, with
9 another seven expected by the end of the year,
10 which will result in a significant amount of
11 regulatory action occurring in the TSCA world.
12 And we do recognize that for many of you these
13 chemicals -- it's not just one chemical that
14 impacts you -- that several of the chemicals have
15 impacts in your manufacture, processing, and
16 distribution realm.

17 And one of the key things for us,
18 which we have done from the beginning in the risk
19 evaluation process for the first ten -- and we're
20 going to, obviously, continue on this webinar as
21 one, and we've also already been having one-on-one
22 meetings with stakeholders and others that could
23 be impacted by regulatory approach -- is we're

1 meeting as often as we can because the process for
2 us needs to be as transparent as possible.

3 Otherwise, we put in place a regulation that isn't
4 necessarily practical or addresses the issues that
5 we need addressed to take care of the unreasonable
6 risk.

7 Moving on to Slide 16, these are the
8 seven components of Section 6(a). And in this as
9 you can see -- and it looks rather basic, but
10 there are a multitude of things we can do, and
11 these are used individually or in relationship to
12 each other. We can use more than one.

13 So we can prohibit, limit, or
14 restrict manufacturing, processing, or
15 distribution in commerce. For those of you who
16 know the methylene chloride final rule on consumer
17 paint and coating removal, we used the
18 manufacturing, processing, and distribution
19 together. There's also a recordkeeping,
20 monitoring, or testing component, and we can
21 regulate commercial use or disposal among other
22 things.

1 Moving on to Slide 17, for the
2 regulatory options we'll focus on manufacturing,
3 processors, distributors, entities that are
4 disposing of the chemicals and the commercial
5 workplace itself, which could be the manufacturing
6 workplace or the processing workplace. And I'll
7 go into a little more detail as we talk about the
8 different regulatory options or things that we
9 would consider as approaches in the later slides.
10 For consumers we could get at them by the
11 manufacturing, processing, or distribution level.
12 The compliance of requiring them to use PPE is a
13 bit more challenging because we don't have direct
14 access to that the way we do in a commercial
15 sector, but there are a multitude of tools to
16 address the consumer uses as well.

17 Moving on to Slide 18, these are
18 examples of some of the regulatory options. We
19 could set a concentration limit, which is the
20 weight fraction. And we are aware that for a
21 number of uses there are various weight fractions
22 of the chemical based on SDS sheets that we've
23 seen and engagement with stakeholders that --

1 making the numbers up -- could range anywhere from
2 45 to 80 percent. And so it could be -- and it
3 appears that at 45 percent, and again that is a
4 made up number, the product is still efficacious.
5 We do recognize that there are other components of
6 a formulation that may be important, so, again,
7 it's important for us to engage with stakeholders
8 on those kinds of limitations of the
9 concentration. But if we just found that 45
10 percent weight fraction in a product addressed the
11 unreasonable risk, that could be an approach that
12 we could take.

13 We could also require labeling on a
14 product that talks about limitations or ways to
15 use the product or the health risks that result
16 from the use of the product. We can also,
17 obviously, prohibit manufacturing, processing, and
18 distribution, which, again, is what occurred for
19 methylene chloride in the consumer paint and
20 coating removal rule. We can mandate workplace
21 controls such as ventilation, engineering
22 controls, administrative controls, and/or PPE at
23 sites. And I know that you've seen in the risk

1 evaluations themselves that there is an
2 expectation that there is a certain level of PPE
3 already being used in certain sites or facilities
4 that are manufacturing/processing. We can also
5 require that ordinary business records are kept.
6 We are not looking for additional records to be
7 kept but the ones that you keep as a matter of
8 course to do your business.

9 Moving on to Slide 19. Other
10 approaches and one that we do and are looking at
11 closely, which you also heard me mention for those
12 of you who participated in methylene chloride, is
13 existing chemical exposure limit, an ECEL. And
14 for those of you familiar with the OSHA PELs, this
15 is the same idea and approach in that we recognize
16 that, for many workplaces, it'd be more
17 appropriate to have this limit -- this ECEL, which
18 would then allow the workplace to determine for
19 themselves what is best for their workplace as it
20 relates to ventilation, engineering controls, PPE,
21 and other things. Because, in some cases, the
22 workplace may already have things in place that we

1 are thinking of and that would and already are
2 addressing the unreasonable risk.

3 And this allows flexibility to the
4 workplace. In addition, it allows for
5 technological innovation as opposed to EPA saying,
6 "You will do this type of ventilation, this type
7 of PPE." At the same time, we recognize that
8 there is a difference in workplaces and that there
9 will be some work sites where the ECEL is great.
10 But there are other worksites where an ECEL is
11 not, such as an auto repair shop or some place
12 like that. So we recognize that we will need to
13 have flexibility in our regulatory approaches.
14 And, again, this is why we're reaching out and
15 engaging with stakeholders both in this forum and
16 in other forums and more directly meeting with
17 people so that we get a sense of the workplaces
18 where certain approaches would work best.

19 Again, we can require hazard
20 communication programs. There could be monitoring
21 required as a part of an ECEL. And then one of
22 the other things is notification down the supply
23 chain so the people are aware of limitations on a

1 chemical, which, again, is an approach that we
2 used for the methylene chloride consumer paint and
3 coating removal.

4 Moving on to Slide 20 and Section
5 6(c), as I mentioned before, we need to make a
6 statement regarding the magnitude -- the statement
7 of effects, the magnitude of the exposure to human
8 health and the environment, and the benefits of
9 the chemical for various uses and then the
10 reasonably ascertainable economic consequences of
11 regulatory approaches that we are proposing or
12 thinking of proposing. And, again, I'm going to
13 keep saying it. We're engaging with all of you to
14 better inform this part of the process.

15 The transparency is extremely
16 important as we develop these rules. Methylene
17 chloride has over 50 conditions of use. We have
18 25 here with 1-BP. Well, not all in both
19 instances have unreasonable risk. But we want to
20 make sure that we are properly informed as we are
21 developing our regulatory approaches.

22 Moving on to Slide 21, which is the
23 Complex Consumer and Durable Goods Section

1 6(c)(2). And I know that for a number of the
2 stakeholders this is very important and has been
3 raised with us in multiple venues, and Congress
4 clearly contemplated this and told EPA to be
5 cognizant of this as you move forward with any
6 regulatory approach. And we will certainly be
7 taking this into account as we do our regulatory
8 approaches.

9 Moving on to Slide 22, there are a
10 number of executive orders that we need to comply
11 with. Obviously, what we refer to as 12866 is the
12 process whereby our federal partners get to review
13 our rules, as many as you know, prior to them
14 being released to the public, as well as when you
15 move to the final rule stage. They review them as
16 well.

17 There is also the small entities
18 executive order 13272, which for some of you know
19 it as the SBAR or -- and as I hope you are aware,
20 a notice went out looking for SERs. And I believe
21 today is the deadline for self-nomination of small
22 businesses to be part of the panel for both
23 methylene chloride and 1-BP. And because of the

1 pace of this rulemaking, the expectation is that
2 the SBAR panel will occur in November, so just a
3 few short months away where we will be discussing
4 small businesses -- the potential impact of the
5 regulatory approaches. And this is by no means an
6 exhaustive list of the executive orders that we
7 need to comply with.

8 So moving on to Slide 23 -- and I've
9 briefly touched on it -- the engagement that we're
10 doing with stakeholders and then the types of
11 information that will help us -- and not that we
12 don't already have a sense of many of the things
13 that we're doing. We also recognize that there
14 are nuances that we need to be cognizant of. And
15 so if there is information on the types of
16 controls that are already in place or the types of
17 engineering controls or PPE that's being used or
18 maybe there's some new technology on the horizon
19 that we should be aware of, that's the type of
20 information that we would like to know. And
21 obviously, if are there substitute approaches,
22 either a new method for doing something or a
23 chemical substitute.

1 And I'm well aware that a number of
2 these are solvents -- chlorinated solvents that
3 are substitutes for each other. And we are very
4 much aware that, in the first ten, there are a
5 number of the chemicals that replace each other,
6 and that in our next 20 some of those chemicals
7 could be replacements for these chemicals. And so
8 we within EPA are certainly thinking of what the
9 approach should be and the best approach,
10 recognizing the implications across chemicals for
11 the approach we take.

12 And then, of course, we're always --
13 and as Yvette said at the beginning, this is a new
14 program being built from the ground up. It's four
15 years old -- a little over four years now. But
16 this is really moving into the first risk
17 management part of the process, which is the last
18 piece envisioned by the amended TSCA. And so the
19 process and our approaches will continue to
20 develop and change as we go, but by the time our
21 first ten -- we have proposed rulemakings out
22 there. Some of you may be aware of our PBT

1 rulemakings -- the tools under 6(a) will be on
2 full display.

3 I did not mention the training
4 certification and limited access program, which I
5 did mention in the methylene chloride. That is an
6 approach that we are thinking about for all of the
7 chemicals. And it may be that only parts of the
8 training certification and limited access are
9 used. It's not that all three need to go hand-in-
10 hand. It may be that there is just a limited
11 access component of it, but you will see how we go
12 about and be better able to inform. And I know a
13 number of you have thoughts on processes and how
14 to do things, which we're certainly open to
15 hearing about. So we do look for the engagement.

16 Again, on Slide 24 it's the
17 transparency, and I've mentioned this several
18 times throughout. This is the engagement with the
19 stakeholders -- with interested parties. We're
20 looking for all perspectives. We have done
21 engagements one-on-one with industry groups.
22 We've engaged with the environmental groups and
23 the unions, and we continue to expand our

1 dialogue. There's still an education process
2 going on with TSCA, which is understandable. We
3 expect the dialogue, and we want the process
4 informed by all sides as we go forward.

5 And the input only makes the
6 regulations better and our process better and more
7 transparent. I mean, I personally feel that
8 there's nothing worse than EPA closing its doors,
9 working furiously, and then suddenly there's a
10 public comment period and people are like "Oh, my
11 god, what just happened? It'd been good if you
12 had talked to us about this. We could have given
13 you valuable insights." So please do reach out
14 and we are actively continuing to reach out.

15 Moving on to Slide 25 is the
16 coordination and the engagement. I don't want you
17 to think that we are only engaging externally. We
18 do engage within EPA, and we engage actively with
19 our federal partners, OSHA, CPSC. We talk with
20 DOD. We talk with all of the federal families
21 that can better inform what we are doing and how
22 we are thinking about our approaches to risk
23 management.

1 And moving on to Slide 26, there's
2 clearly a theme here: Opportunities for
3 Engagement. I, again, appreciate all of you that
4 have joined us today for the 1-BP webinar. We
5 expect that we'll be doing these webinars after
6 every risk evaluation is final to make as many
7 people as aware as possible.

8 And you are also, obviously,
9 actively reaching out. We pay attention to the
10 commenters on the risk evaluations, and we comb
11 through those to reach out to people that clearly
12 have an interest in what is occurring. So we use
13 a multitude of ways to identify interested
14 stakeholders and entities that we should be
15 engaging with.

16 As I mentioned, the SBAR panel is
17 expected to convene in November. We'll also have
18 more of our formal consultations, which are the
19 tribal -- with the tribes and then state and local
20 governments, which will also be occurring this
21 fall. So it'll be a frenetic fall for all the
22 chemicals that finish and have final risk
23 evaluations.

1 **NIVA KRAMEK:** Great. Thank you,
2 Joel and Ana and Yvette. We will now begin the
3 public comment period. I'm going to turn the
4 control over to the operator who's going to
5 introduce the speaker and open their line. And
6 then the operator will continue this until all the
7 speakers who signed up have completed their
8 remarks.

9 **VINCENT BROWN:** Okay. Thank you.
10 This is Vince Brown from Battelle. We have Olga
11 Krel on the agenda, but she is not connected in a
12 way that we can find her. So we may ask for her
13 later. If she can hear us now, we need her to
14 register in Webex with her name and email, and
15 then we can unmute her. Let me go find now Robert
16 Sussman.

17 **ROBERT SUSSMAN:** Yes, he's here.

18 **VINCENT BROWN:** Robert Sussman,
19 please go ahead.

20 **ROBERT SUSSMAN:** Okay. Good morning
21 to everybody. I'm Bob Sussman of Sussman &
22 Associates, and I'm speaking today on behalf of
23 Safer Chemicals Healthy Families. According to

1 EPA's final evaluation, there is a high likelihood
2 that pregnant women and fetuses will suffer severe
3 harm as a result of short-term exposure to 1-BP.

4 These serious risks exist for both 1-BP-containing
5 consumer products and similar products used in
6 workplaces.

7 1-BP is a component of several
8 liquids, spray aerosols, household products with
9 significant dermal and inhalation exposures,
10 including degreasers, spot cleaners, and stain
11 removers. These and related products are also
12 used in commercial and industrial applications,
13 including as vapor and aerosol spray degreasers,
14 adhesives, sealants, spot cleaners and dry-
15 cleaning chemicals. These uses are largely
16 uncontrolled, occur at hundreds of small
17 facilities, and result in large exposures to
18 thousands of workers, mostly women. According to
19 EPA, half the workers at these facilities are
20 women. Studies on 1-BP show severe effects
21 resulting from prenatal exposure during gestation,
22 as well as post-natal adverse developmental

1 effects that manifest at various stages of
2 development and can span multiple generations.

3 The final risk evaluation identifies
4 two serious developmental effects: reduced litter
5 size and post-implantation loss that have been
6 observed following brief, acute exposures.

7 According to the evaluation, virtually all the
8 consumer and commercial products containing 1-BP
9 present unreasonable risks to human health based
10 on its acute effects on fetuses and mothers.

11 EPA's evaluation found that actual exposures to
12 these products were above or alarmingly close to
13 toxic dose levels resulting in small or
14 nonexistent margins of exposures two or three
15 orders of magnitude lower than the EPA benchmark
16 MOE. These are eminent and severe risks that pose
17 an immediate threat to pregnant women and their
18 offsprings.

19 Our group strongly recommends that
20 EPA ban the consumer and commercial products
21 presenting these risks under Section 6(a) of TSCA.
22 This is the only remedy that will reliably and
23 effectively eliminate the danger of eminent acute

1 effects as required by the law. As EPA has
2 previously found from methylene chloride and PCE,
3 label warnings and personal protective equipment
4 are insufficient to protect both consumers and
5 workers in small, uncontrolled facilities.

6 We previously asked EPA to address
7 the acute developmental risks of 1-BP in advance
8 of the final rule in order to prevent avoidable
9 harm to consumers and workers. EPA refused. Now
10 that the evaluation is final, we renew this
11 request.

12 EPA should issue a health advisory
13 warning the public of 1-BP's risk to fertility and
14 fetal development following acute exposure and
15 urging women of childbearing age to avoid exposure
16 to 1-BP-containing products. It should also make
17 its proposed Section 6(a) rule immediately
18 effective as authorized by Section 6(d) of TSCA so
19 that acute exposures are controlled as soon as
20 possible. Thank you for the opportunity to
21 present these comments.

22 **VINCENT BROWN:** Great. Our next
23 speaker is Kathleen Wolf. And it'll take me just

1 one second to unmute her. Kathleen, or Katy,
2 Wolf, please go ahead.

3 **KATHLEEN WOLF:** Thank you. Good
4 morning, everyone. I appreciate the opportunity
5 to comment. My name is Katy Wolf, as you said.

6 And I'm a consultant. 1-Bromopropane or n-
7 propylbromide, nPB, came on the market in the
8 1990s. And it was adopted in many dispersive
9 applications at the time. It replaced 1,1,1-
10 trichloroethane in a whole range of applications.
11 And 1,1,1-trichloroethane was banned because it
12 caused ozone depletion.

13 It also replaced trichloroethylene
14 and perchloroethylene, which were placed on EPA's
15 hazardous air pollutant list, and methylene
16 chloride, which was also on the HAP list and which
17 OSHA had regulated more stringently. NPB was not
18 on the HAP list and still has not been listed, nor
19 has it been regulated by OSHA. I've worked on
20 safer alternatives to halogenated solvents for
21 more than 30 years. I've done field testing with
22 alternatives to NPB with companies using the
23 chemical in a range of different applications.

1 This includes nearly all of the applications
2 deemed by EPA to pose an unreasonable risk in the
3 risk assessment.

4 In vapor degreasing, cold cleaning,
5 dry cleaning, and auto aerosol cleaning, I've seen
6 the chemical used by many facilities in an
7 uncontrolled fashion. In adhesive applications,
8 I've seen workers become ill from exposure to the
9 chemical. I strongly urge EPA to ban NPB in all
10 unreasonable risk applications. A ban in my view
11 is the best strategy for dealing with the chemical
12 for four reasons. These are similar to the
13 reasons I cited in my request that EPA ban
14 methylene chloride in the last public meeting a
15 couple of weeks ago.

16 First, there are demonstrated
17 viable, safe, and cost-effective alternatives in
18 all of the unreasonable risk applications.
19 Second, since EPA does not have adequate resources
20 to examine and develop a diverse set of different
21 regulations for each of the applications that
22 poses an unreasonable risk, a ban on the NPB
23 applications would allow EPA to do a thorough job

1 at regulating the uses. Third, and related to the
2 second reason, a ban is the most reasonable option
3 for enforcement purposes.

4 As EPA knows, many if not all of the
5 regulations adopted by the Agency under other
6 statutes allow EPA to delegate authority for
7 enforcement to the states. In the case of TSCA,
8 in contrast, EPA must enforce regulations adopted
9 under the statute on its own. EPA unequivocally
10 does not have the resources to enforce a range of
11 different regulations of the uses of NPB, and a
12 ban enforced through the producers and importers
13 would be a simpler option. Setting an exposure
14 limit, for example -- that ECEL that was discussed
15 -- for different applications, for example, that
16 would require EPA to enforce the level on
17 thousands of different facilities, and it's just
18 not reasonable to assume EPA would do that.

19 Fourth, there is a historical
20 precedent for banning high-risk halogenated
21 solvents that demonstrates there would be a
22 successful outcome for this strategy. Many years
23 ago the South Coast Air Quality Management

1 District established stringent VOC limits on vapor
2 degreasing and cold cleaning applications such
3 that NPB could not be used for these purposes in
4 half of California. Because of certain
5 California-wide regulations, NPB cannot be used in
6 spotting chemicals in the dry-cleaning industry,
7 automotive aerosol applications, or most adhesive
8 applications. In summary, then, I urge EPA to
9 adopt a ban on all of the NPB applications tagged
10 as posing an unreasonable risk. Thanks a lot for
11 your attention. I appreciate it.

12 **VINCENT BROWN:** Thank you. Unmuting
13 now, Barbara Kanegsberg. Barbara, if you're
14 there, please go ahead. I also had an Ed
15 Kanegsberg on the roster. I'm not sure if it's Ed
16 or Barbara. Your phone may be muted. Okay. We
17 will loop back to Barbara Kanegsberg and look now
18 to Nick Chartres.

19 **DR. NICHOLAS CHARTRES:** Can you hear
20 me?

21 **VINCENT BROWN:** Nick Chartres,
22 please go ahead.

1 **DR. NICHOLAS CHARTRES:** Good

2 morning. Good morning, my name is Dr. Nicholas
3 Chartres, and I'm the Associate Director of
4 Science and Policy at the Program on Reproductive
5 Health and the Environment at the University of
6 California, San Francisco. Today, my comments
7 will focus on how EPA has failed to address the
8 comments from the Science Advisory Committee on
9 Chemicals on the full systematic review methods
10 used in the 1-bromopropane risk evaluations in its
11 peer review of 1-BP and on incorporating
12 quantitative methods for estimating non-cancer
13 risk at each level of exposure and accounting
14 appropriately for variability in the population
15 for non-cancer endpoints. I have no conflicts to
16 disclose.

17 In our comments to EPA on March 27,
18 2020 on the draft risk evaluation for carbon
19 tetrachloride, we highlighted that EPA must
20 address the comments from the SACC in its peer
21 review of 1-BP and incorporate the recommended
22 changes to its systematic review method prior to
23 finalizing the evaluation and to future TSCA risk

1 evaluations. The SACC highlighted, among several
2 concerns, that EPA had failed to achieve a
3 fundamental best practices to systematic review,
4 which included documenting how every reference
5 identified in the literature search had been used
6 in the draft risk evaluation, transparently
7 applying a pre-defined eligibility criteria to the
8 references in the literature search, and using
9 protocols that outline the pre-establishment
10 that's to be used throughout the systematic review
11 process as required by EPA regulations under TSCA.
12 EPA has failed to address our comments on these
13 issues or address the non-science based and flawed
14 systematic review methods that were applied in the
15 evaluation of 1-BP as highlighted by the SACC.

16 This failure to apply best practices
17 for systematic review in the 1-BP evaluation means
18 that EPA is underestimating the risk of 1-BP and
19 therefore leaving the public and the most
20 vulnerable populations Congress explicitly
21 mandated EPA to protect at risk from harmful
22 chemical exposures. Again, we urge the Agency to
23 use systematic review methods that have been

1 demonstrated extensively for use in environmental
2 health and which have been endorsed by the
3 National Academy of Sciences. That is the
4 National Toxicology Program's OHAT method and the
5 Navigation Guide to Systematic Review Method
6 developed at UCSF.

7 **VINCENT BROWN:** Nick, this is Vince
8 Brown. You're kind of breaking up. I don't know
9 if your phone is on a bad connection or what. We
10 can't hear you.

11 **DR. NICHOLAS CHARTRES:** Can you hear
12 me now? Is that any clearer? Hello. Is that any
13 clearer?

14 **NIVA KRAMEK:** Yes, Dr. Chartres, you
15 sound much clearer now.

16 **NICHOLAS CHARTRES:** Thank you. What
17 would you want me to -- just continue from where I
18 am?

19 **NIVA KRAMEK:** Yes. Please continue.

20 **DR. NICHOLAS CHARTRES:** Okay. In
21 relation to risk management as we highlighted in
22 our comments to EPA two weeks ago regarding the
23 risk evaluation and risk management of methylene

1 chloride, exposures experienced by the full
2 population at any exposure level can result in an
3 increased risk of adverse health effects. Full
4 health effects for which there is some evidence of
5 a relationship suggest, if possible, likely
6 unknown, the risk should be quantified and to not
7 estimate risk would assume zero risk. Human
8 health risk assessment and risk management can be
9 substantially improved by incorporating
10 quantitative methods for estimating non-cancer
11 risk.

12 This would increase the scientific
13 rigor of risk assessment, increase its utility for
14 risk management, provide that information to the
15 public for non-cancer risk, and allow for capture
16 of benefits for environmental policy making.

17 Without incidents for non-cancer risk assessment,
18 it is difficult to estimate the health benefit
19 from pollution prevention, which is an important
20 input in decision making and a key ingredient in
21 cost-benefit analysis. This would also better arm
22 long-term approaches for estimating cancer risks,
23 which are expressed in a probability that is one

1 in 1 million risks, for example, in contrast to
2 non-cancer risks which are based on a bright line
3 that does not specify particular risk level, such
4 as the reference dose of concentration. And it
5 assumes that threshold response.

6 The reference dose in concentration
7 does not estimate the probability or incidence of
8 response to any dose. It also implies the
9 exposure just below or just -- I'm sorry -- just
10 below that dose has no risk and just above confers
11 a substantial risk. Furthermore, additivity to
12 background in terms of both health status and
13 exposure model for chemicals supports that there
14 are non-zero risk for population risk of non-
15 cancer effects, and that's the transitional way
16 from this bright line approach that is treated as
17 a threshold and a transition toward the dose
18 response method. It quantifies risk at doses
19 within the experimental range as well as below it.

20 For any and every condition of use
21 that EPA has considered that presents an
22 unreasonable risk, it should quantify risk across
23 multiple levels of exposure. Therefore, for the

1 points of departure, evaluating human health
2 hazard from acute and chronic inhalation scenarios
3 including developmental, reproductive system, and
4 nervous system effects, EPA should incorporate
5 probabilistic approaches in quantifying this risk.

6 Addis (phonetic) 2002 and Ginsberg
7 (phonetic) 2012, as well as many others, have
8 already demonstrated such methods. Finally,
9 further phase risk estimates should be calculated
10 to include factors that account for life stage
11 vulnerability, co-exposures to other pollutants,
12 genetics, pre-existing conditions, and social
13 factors that include poverty and racial
14 discrimination. For cancer endpoints, EPA must
15 account appropriately for variability to
16 population at each level of exposure. The 2009
17 NIH report "Science and Decisions: Advancing Risk
18 Assessment" calculated the difference in mating
19 birds higher in response to carcinogens differed
20 by a factor of 25. Thank you very much for your
21 time.

22 **VINCENT BROWN:** Okay. Thank you.

23 We will now look to Gary Timm. Take me a second

1 to get him unmuted. Gary Timm, if you're there,
2 please go ahead.

3 **GARY TIMM:** Yes, thank you. Good
4 morning. My name is Gary Timm. I served as Chief
5 of the Chemical Testing Branch in OPPT for ten
6 years. Today, I am presenting comments on behalf
7 of the Environmental Protection Network. EPN is
8 an organization comprised of over 500 EPA alumni
9 who volunteer their time to perfect the integrity
10 of the U.S. EPA, human health, and the
11 environment.

12 EPN submitted comments on the 1-
13 bromopropane draft risk evaluation on August 30th,
14 2019. EPA has failed to address our substantive
15 comments. It has not given an adequate
16 explanation for not doing so. By failing to use
17 appropriate methods in various areas of the risk
18 evaluation, EPA is underestimating the risk of 1-
19 BP.

20 As EPN noted before, the Agency is
21 not using the best available tools by continuing
22 to use the non-peer reviewed, flawed draft
23 guidance document entitled "Application of

1 Systematic Review in TSCA Risk Evaluations" to
2 identify, sort, select, and exclude studies and
3 other information to be used in the risk
4 evaluation and then to raise our quality and
5 acceptability for inclusion in the assessment.
6 The Science Advisory Committee on Chemicals review
7 of the 1-BP chemical risk evaluation pointed out
8 that the use of the TSCA systematic review process
9 results in EPA failing to consider well-done
10 studies. EPA must develop guidance that comports
11 with standard practices. That is consistent with
12 the recommendations received during the peer
13 reviews currently underway by the National Academy
14 of Sciences.

15 Until EPA develops a new systematic
16 review process, the Integrated Risk Information
17 System review process, the Office of Health
18 Assessment and Translation, or Navigation Guide
19 should be used in place of the systematic TSCA
20 process. In the final risk evaluation of 1-BP,
21 EPA correctly notes that it must consider
22 aggregate exposure. That is co-exposure from

1 different pathways as required by Section 6(d) or
2 (f) of TSCA.

3 However, the Agency then failed to
4 do so stating that it could not consider aggregate
5 exposure because it did not have physiologically
6 based pharmacokinetic models for integrating
7 exposures from dermal and inhalation routes. This
8 is a feeble excuse as the Agency has managed
9 successfully to conduct thousands of aggregate
10 exposure assessment for food use, pesticides, and
11 other chemicals over the course of the past 30
12 plus years. The failure to include aggregate
13 exposures may result in a substantial
14 underestimation of exposures to workers and
15 consumers who come in contact with 1-BP.

16 On October 18th, 2019 EPN sent EPA a
17 letter expressing our concern that EPA was taking
18 too long to regulate serious, acute effects from
19 the exposure to 1-BP. The draft evaluation
20 concluded that 1-BP presents an unreasonable risk
21 to workers and consumers for developmental and
22 reproductive toxicity (audio skip) exposure. We
23 noted that this finding was unlikely to change in

1 the final risk evaluation. This is alarming
2 because women of childbearing age comprise half of
3 the large population of consumers, bystanders, and
4 workers that are exposed to 1-BP, and a single
5 acute exposure during a critical window of
6 development could cause irreversible, permanent
7 damage to a developing fetus.

8 We suggested that EPA regulate 1-BP
9 in two phases. The first phase would move quickly
10 to address acute effects. A subsequent rulemaking
11 would address chronic effects and any other
12 effects not addressed by first phase. This
13 suggestion was rejected by EPA. To underscore
14 this point, EPA specifically notes in the final
15 risk evaluation that even now it is not making an
16 imminent hazardous finding under Section 7 of
17 TSCA.

18 If an acute exposure that causes
19 developmental and neurological effects does not
20 qualify for making an imminent hazard finding,
21 what does? In the final risk evaluation, EPA
22 determined that 1-BP presents an unreasonable risk
23 from inhalation and dermal exposures to consumers

1 who use 1-BP in dry-cleaning solvents, spot
2 cleaners, stain removers, sealants, adhesives, and
3 to occupational non-users and bystanders near
4 these operations. As with EPA's risk evaluation
5 regarding the cyclic aliphatic bromide cluster,
6 EPA should not rely on the use of personal
7 protective equipment in these uses. Assuming that
8 workers will use PPE for the entire duration of
9 the work activity throughout their careers, even
10 when such equipment is not required, provided, or
11 used, underestimates the risk to workers.

12 We urge EPA to ban all consumer and
13 industrial/commercial uses of 1-BP for cleaning
14 and degreasing uses and adhesives and sealants and
15 dry-cleaning solvents for which EPA has found an
16 unreasonable risk. Thank you for your attention
17 and time.

18 **VINCENT BROWN:** Okay. I will now
19 unmute -- sorry. Getting some interference. I'll
20 now unmute Ben Gann or Gann. Take me just one
21 second. Benjamin Gann, if you're available,
22 please --

1 **BENJAMIN GANN:** Oh. Now can you
2 hear me?

3 **VINCENT BROWN:** Yes. You sound
4 great. Thank you.

5 **BENJAMIN GANN:** Perfect. Okay.
6 I'll go. Good morning. I'm Ben Gann, Director in
7 the American Chemistry Council's Chemical Products
8 and Technology Division, or CPTD, which represents
9 more than 60 chemical-specific groups focused on
10 business of chemistry and issues relevant to the
11 chemical manufacturers and downstream users. CPTD
12 is pleased to provide comments on EPA's final risk
13 evaluation for 1-BP, as well as the risk
14 management process for conditions of use that were
15 found by the Agency to pose an unreasonable risk.

16 First, EPA found no unreasonable
17 risk to the environment for all conditions of use
18 that were evaluated. The Agency also found no
19 unreasonable risk to the general population for
20 all conditions of use that were evaluated and that
21 it was unlikely the general population would be
22 exposed to 1-BP through surface water, drinking
23 water, and sediment. Second, as EPA states in the

1 final risk evaluation, the Office of Chemical
2 Safety and Pollution Prevention used its authority
3 under TSCA Section 9(d) to coordinate with the
4 Office of Air and Radiation regarding ambient air
5 emissions of 1-BP.

6 The OAR, as part of its authority
7 under the Clean Air Act, can regulate ambient air
8 emissions of 1-BP. Earlier this year, EPA granted
9 a petition to add 1-BP to the Clean Air Act list
10 of air toxics. This will trigger separate
11 regulatory processes for reducing air emissions of
12 1-BP under the Clean Air Act. Thus, the risk
13 evaluation did not evaluate ambient air exposures
14 to the general population.

15 Third, halogenated solvents such as
16 1-BP are used in industrial and commercial
17 settings because they are essentially not
18 flammable and reduce the overall fire risk.
19 Although the final risk evaluation includes
20 consumer uses of products that include 1-BP, it is
21 unusual for products containing 1-BP to be marked
22 as "for use by consumers". A significant need
23 exists in the marketplace for cleaning solvents

1 with the wide solubility parameters and excellent
2 cleaning capabilities of 1-BP. Limiting solvent
3 choices could result in abrupt and significant
4 change for industrial and commercial facilities
5 that are designed to handle materials.

6 Fourth, half of the ten chemicals
7 undergoing risk evaluations are halogenated
8 solvents -- in the first ten that are undergoing
9 risk evaluation. That includes 1-bromopropane.
10 This is relevant because, as EPA explores the
11 range of risk management options for 1-
12 bromopropane, EPA should take into consideration a
13 continued need for halogenated solvents and what
14 are the available alternatives in the marketplace.

15 Fifth, exposure levels for each
16 condition of use that were evaluated by EPA as
17 part of its risk evaluation varied depending on
18 volume, engineering controls, and the use of
19 personal protective equipment. We are encouraged
20 to hear that EPA is factoring in engineering
21 controls and appropriate use of PPE as it
22 considers risk management options, as engineering
23 controls and appropriate use of PPE can and does

1 reduce the risk of exposure. Six and finally, as
2 mentioned in its presentation this morning, EPA
3 has a range of regulatory options it can consider
4 in determining appropriate risk management actions
5 for conditions of use that the Agency found pose
6 an unreasonable risk that stops short of
7 prohibition.

8 So on behalf of CPTD, we thank the
9 Agency for the opportunity to speak today and look
10 forward to continuing the discussion with EPA as
11 it moves forward in the risk management process.

12 **VINCENT BROWN:** Thank you. We'll
13 try again for Ed or Barbara Kanegsberg, just one
14 second. Okay. You are unmuted. Barbara
15 Kanegsberg, if you're there, please go ahead.

16 **BARBARA KANEGSBERG:** No comment
17 today, sorry.

18 **VINCENT BROWN:** Okay. Thank you.
19 This is Vince Brown. Niva asked me to go down the
20 list of those who had registered to make public
21 comments, but we've been looking for them and have
22 not been able to identify their names and connect
23 their audio on today's call. So we have an Olga

1 Krel. We have a Jean Warshaw. We have a Uyen-
2 Uyen Vo, Anthony Tweedale, Tommy Burgess, and a
3 Jen Jackson. And those conclude the names of
4 those who had pre-registered to make public
5 comments but with whom we were unable to connect
6 with their audio. Back to you, Niva.

7 **NIVA KRAMEK:** Great. Thank you.
8 I'd like to give an extra minute or two if anyone
9 who has registered to provide a public comment has
10 been unable to connect or make themselves
11 identified. We're going to just give one more
12 minute.

13 **VINCENT BROWN:** Hi. Thank you.
14 Niva, this is Vince again. I should also read the
15 names of those who had registered but for one
16 reason or another had to cancel at the last
17 minute. We had a Flora Ratpan. We had a
18 Christopher Shaw, Amy Kyle, and a Albert Hartman.
19 Those were folks who prior to the meeting had sent
20 their regrets that they could not make public
21 comment at this meeting.

22 **NIVA KRAMEK:** Yes. Again, if you've
23 registered to make a public comment and you're on

1 the line by phone, we will not be able to identify
2 you. And so please email me or Vince Brown. But
3 it seems like there have not been any messages.
4 And so I do want to thank the public commenters
5 and all of you who participated in today's webinar
6 on risk management for 1-bromopropane. An audio
7 recording and a transcript of this webinar will be
8 available at the 1-BP Risk Management website --
9 the website you received a link to in the emails
10 that preceded this event.

11 EPA very much appreciates your
12 participation in today's webinar, and the team
13 here at the Office of Pollution Prevention and
14 Toxics looks forward to a continued dialogue on
15 risk management under TSCA. So thank you again,
16 and I am going to turn it back to Vince to close
17 out the call.

18 **VINCENT BROWN:** Great. Thank you.
19 That concludes today's Webex, and we will now end
20 the event.

21
22 **[MEETING ADJOURNED]**