

UNITED STATES ENVIRONMENTAL PROTECTION AGENCY

11th CONFERENCE ON AIR QUALITY MODELING

WEDNESDAY, AUGUST 12, 2015

ENVIRONMENTAL PROTECTION AGENCY  
RESEARCH TRIANGLE PARK, NORTH CAROLINA

8:30 a.m.

***Kay McGovern & Associates***

Suite 117, 314 West Millbrook Road • Raleigh, NC 27609-4380  
(919) 870-1600 • FAX 870-1603 • (800) 255-7886

**A G E N D A**

Presentations by EPA

Conference Overview and Logistics	George Bridgers, OAQPS	5
Welcome and Opening Remarks	Chet Wayland, OAQPS	11
Current Status of Appendix W and Overview of Proposed Revisions to Appendix W	Tyler Fox, OAQPS	17
AERMOD v15181 Regulatory Update	Roger Brode, OAQPS	31
Proposed Updates to the AERMOD Modeling System	Roger Brode, OAQPS	35
Proposed Updates to the AERMOD Modeling System - AERSCREEN	James Thurman, OAQPS	47
Proposed Updates to the AERMOD Modeling System - Proposed NO <sub>2</sub> Tier 2 and Tier 3 Revisions	Chris Owen, OAQPS	50
Modeling of Mobile Sources	Chris Owen, OAQPS	54
Meteorological Data for Dispersion Models	James Thurman, OAQPS	66
Long Range Transport for NAAQS and Increment Assessments	Tyler Fox, OAQPS	73
Treatment of PM <sub>2.5</sub> and Ozone in PSD Compliance Demonstrations	Kirk Baker, OAQPS	87
Status and Role of the Model Clearinghouse	George Bridgers, OAQPS	103
Single-Source and Cumulative Impact Analyses	George Bridgers, OAQPS	111

**A G E N D A**  
(continued)

---

Introduction to and Opening of the Public Hearing (Day 1)	George Bridgers, OAQPS	123
<u>Public Presentations and Comments</u>		
Source Characterization Issues for Near-Field (AERMOD) Modeling	Bob Paine, AECOM for AISI	124
AERMOD Low Wind Evaluation Results for Tall Stack Databases	Bob Paine, AECOM for EPRI	134
AERMOD Treatment of Buoyant Stack Releases in Convective, Low Mixing Height Conditions	Bob Paine, AECOM for Lignite Energy Council	142
Perspectives and Experience with ARM and ARM2	Rich Hamel, ERM	148
Evaluation of AERMOD with Alternate NO <sub>x</sub> Chemistry Scheme	Cathe Kalisz, API	158
Optimized Use of MMIF for AERMOD in Complex Terrain	Bart Brashers Ramboll Environ, Inc.	164
Recent Experiences with MMIF/WRF for Creating AERMOD Inputs	Tom Wickstrom, ERM	175
Introduction to the AWMA APM Comments and General Items	David Long, AEP	185
AWMA APM Comments on AERMOD Related Issues	Mark Garrison, ERM	192
AWMA APM Comments on Single Source Modeling and Long Range Transport Modeling	Gale Hoffnagle, TRC	201

**A G E N D A**

(continued)

Exponent's Comments on CALPUFF and AERMOD Modeling Guidance	Christopher DesAutels Exponent	209
Perspectives on CALPUFF, Roughness, and 30 Miles	Mark Garrison, ERM	219
An Overview of the SCIPUFF Dispersion Model	Biswanath Chowdhury Sage Management	228
SCICHEM for Regulatory Modeling	Eladio Knipping, EPRI	235
Preliminary Comments on Proposed Changes to Appendix W	Rob Kaufmann Koch Companies for NAAQS Implementation Coalition	242

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

PROCEEDINGS

9:06 a.m.

Mr. Bridgers: Well, good morning, everybody, and welcome to North Carolina. Thankfully the weather cleared through last night. I'm going to check real quick with our court reporter and make sure that we are--we're clear? Okay. And we have a closed captioning service online, so I'm just making sure I have a mic check with Ms. Tina.

I am George Bridgers. I'm with the Air Quality Modeling Group here with the USEPA. Hopefully most of you will have seen my name along the way with the registration and/or lining up the presentations. But I want to welcome you here to the EPA facility and to the 11th Conference on Air Quality Modeling.

I want to officially open the conference and that of the public hearing that's related to the conference and also with respect to the proposed rulemaking for the revisions to the *Guideline on Air Quality Models*.

Before we have an opening remark and some other remarks from Chet Wayland, I want to go through some logistics real quickly about the conference and public hearing and also with respect to our facility here.

So it is clear, Congress in its infinite wisdom back in--well, it started in '77, but then every three years thereafter per Section 320 of Clean Air Act said that we have

1 to have a conference, a modeling conference, and that is what  
2 this is. They have to be transcribed and there has to be a  
3 public record.

4 In addition, this conference, the 11th Conference,  
5 is also serving as the public hearing, as I said just a  
6 minute ago, with respect to the proposed revisions that we  
7 are hoping to make with the *Guidelines on Air Quality*  
8 *Modeling*. So every presentation today that's given will be  
9 part of the record. Everything that's said will be part of  
10 the record.

11 Because this is a public hearing that's inter-  
12 connected with public--or proposed rulemaking, we will not  
13 have a question and answer session, so that's a little  
14 different than the 10th Conference on Air Quality Modeling.  
15 And as I did when I started, I request that all speakers when  
16 they come to the microphone that they identify themselves and  
17 if there's any affiliation that they're connected with.

18 I am the emcee and the public hearing officer, so  
19 that means I drew the very short straw upstairs, but that  
20 also means if you have any questions, if you have any  
21 concerns, find me. Since Tyler Fox up here and Chet Wayland  
22 are my supervisors, the chain above me, if you can't find me,  
23 find them.

24 But I will request, again, since we're in the  
25 midst of a proposed rulemaking, that all of our other EPA

1 brethren--that if there are specific questions about the  
2 conference or anything with the proposed rulemaking, find me  
3 or Tyler or Chet, and we'll delegate the questions as  
4 appropriate. But we have to be sensitive to questions that  
5 come in about our proposal.

6           We have a full schedule. We always do. Those of  
7 you that have been to previous conferences and workshops know  
8 that I try to run a tight ship, and I think that we have  
9 accommodated many of the speakers because we increased the  
10 speaking time for the public presentations from 10 minutes to  
11 15. And that also means that when we get to the open forum  
12 or the oral comments that we will also allow for 15 minutes  
13 or up to 15 minutes if there are people presenting oral  
14 comments.

15           Most of you know that this is a pretty secure  
16 facility. It's harder to get in here than it is to get in  
17 most airports. Hopefully most of you through the  
18 registration process didn't have any trouble getting in this  
19 morning, but if you are leaving the foyer, the auditorium or  
20 the cafeteria area here, you will need an escort here on the  
21 campus if you're in Building A, B, the upper floors of C, D,  
22 E, or the High Bay. So if you leave, you know you have to go  
23 back through security.

24           If you see a gentleman that's carrying a sidearm  
25 and he tells you to do something, I would listen, assuming

1 they have some sort of badge and they actually are security.  
2 Actually, if someone is carrying a sidearm, I would just  
3 listen anyway.

4           For those of you that have not been to our campus,  
5 I also wanted to pass along just some information about the  
6 facilities. Bathrooms, most important: you don't have to  
7 wait till breaks, although it's nice if we can. If you go  
8 back out the double doors here and go across the foyer,  
9 there's an alcove where the elevators are. Right before you  
10 get to the elevators on the left are the bathrooms.

11           Snacks and lunch: a popular question, are we  
12 offering refreshments? We are. They're for pay and they're  
13 across the hall at the Lakeside Café. And we're not trying  
14 to support the contractors; we just can't offer anything more  
15 than water that's outside the bathroom. That's typically  
16 mostly free.

17           But at any rate, across the way they have drinks,  
18 coffee, some snacks during the morning and afternoon, and  
19 then they do have a full lunch selection. And I saw the  
20 e-mail last week, Tyler. It was--they're having a cookout  
21 day today or something, so I--just bear with them across the  
22 hall.

23           But the point that I wanted to make here is that  
24 we have a very full room. It looks like we're going to reach  
25 standing room only shortly. So at 11:55, which is a little

1 before the normal lunch hour, if all 200 of us get up and go  
2 across the hall and stand in line, well, you'll be standing  
3 in line with 200 people.

4           So we tried to make an hour, almost an hour and a  
5 half--it's an hour and 20 minutes--lunch period so that some  
6 of you may--if you're going to socialize during the lunch  
7 hour or the lunch break, you may do it on the front end  
8 versus the back end so we can stagger people going through.  
9 You're more than welcome to go ahead into the dining room and  
10 sit down and chat while the line dies down or stay in here.  
11 And there's--you know, you can come find me. We have some  
12 WiFi if you need to check e-mail.

13           But at any rate, hopefully we can get everything  
14 done in the hour and 20 minute time period, but the one thing  
15 I will say, at least this afternoon at 1:20 we're going to  
16 get the train back on the tracks so we can get through the  
17 afternoon.

18           Also--and I will not put on my vest, my safety  
19 vest and my hard hat, which I do have upstairs, which is just  
20 hilarious--if there is an emergency, if there's fire alarms,  
21 you'll hear somebody talking on the fire alarm system. I'm  
22 your point of contact too.

23           The emergency egress for this building and for  
24 this room is back up the stairs to which you came in, and  
25 then there's a small parking lot just past all the

1 construction right at the front on the left. That's the  
2 assembly area. It's technically Assembly Area 8. I think I  
3 put that on the slide here.

4           But at whatever time the fire alarm--if it should  
5 go off, I'll also make an announcement. Just follow me in an  
6 orderly fashion. And if there's anybody that has--that needs  
7 assistance, there's an area of assistance I think right  
8 outside the room, but we can figure that out. But hopefully  
9 we won't have that. Hopefully there will be no fire alarms  
10 over the next couple of days.

11           And the other thing is that once the emergency is  
12 over, myself, since I'm the point of contact for the  
13 conference, will be the one that gives the all clear after I  
14 get the all clear to come back in the building.

15           I would be--well, I should give lots of recogni-  
16 tion. It takes a team; it takes a huge team here to make  
17 this happen. And so my brethren in the Air Quality Modeling  
18 Group from Tyler down through Kirk, Roger--I don't know if  
19 Jim is in the room yet--both Chrises, Misenis and Owen, Brian  
20 Timin, and James Thurman, all have provided invaluable  
21 assistance, effort, energy to make this possible today and  
22 the proposed rulemaking come out the door.

23           And in addition we had a lot of help from the  
24 front office, from our divisional front office. We had help  
25 from OTAQ and also from all of our regional offices and our

1 federal partners. So for all of that, we're very  
2 appreciative.

3 And with that, I think, Chet, you are up, and  
4 we're two minutes ahead of schedule.

5 Mr. Wayland: Very good. Well, thanks,  
6 George. Before I make a few remarks, we've got a full house  
7 here. How many people think it's kind of warm in here? Are  
8 you guys okay there? All right. We will see if we can get  
9 the AC cranked down a little bit because this is going to be  
10 a packed room and, you know, not that our speakers are full  
11 of a lot of hot air, but it could get a little warm in here.

12 But I want to welcome you guys--Chet Wayland; I'm  
13 the division director for the Air Quality Assessment Division  
14 here in OAQPS, and the Modeling Group is under my purview in  
15 my division. And I'm really excited for you guys to be here.  
16 I was telling some folks this morning, you know, a lot of  
17 times when EPA puts out a rule we kind of know what the  
18 comments might be coming.

19 With this one I'm actually really excited because  
20 I think we have tried to address a lot of things that folks  
21 have raised over the last many years. I know we probably  
22 can't address everything that everybody wanted us to address,  
23 but I'm looking forward to the comments we're going to get  
24 because that's how we improve upon something, a product that  
25 we've already put out as a proposal.

1           And in this case, you know, there's been a lot of  
2 collaboration already from the beginning. I think it's--I  
3 was talking to Jeff Masters just before I came up here, and  
4 you know, we talked about in the old days how there used to  
5 be a lot of collaboration on the science, and I think we're  
6 trying to get back to that. And where we are with this  
7 proposal, there has been a fair amount of collaboration  
8 leading up to this--this proposal between stakeholders and  
9 the EPA here so that we can actually try to put the best  
10 science forward in our guideline models.

11           There's a lot of people that have been involved.  
12 I know Pete Pagano at Iron and Steel, Cathe Kalisz at API--  
13 those folks have all worked with us on various, you know,  
14 field studies or data sets and things that we've been able to  
15 use as we've gone through and tried to upgrade the model and  
16 improve the *Guideline*. And so I want to thank you guys for  
17 that contribution.

18           I mean we're all at a place today, I think private  
19 sector and public sector, where resources aren't what they  
20 used to be, and so where we can work together and leverage, I  
21 think we can develop a better product.

22           It is a guideline model, and as George said, this  
23 is a public hearing, so we do want to get your feedback on  
24 that, and we will be listening carefully obviously as we go  
25 through this. But I thought it would be remiss not to thank

1 all of you for not only being here but for what you've  
2 contributed up until this point.

3           It's been ten years since we last updated  
4 Appendix W, and that's a long time. I wasn't even in this  
5 job when that was--last occurred. In fact a lot of the folks  
6 in the Modeling Group weren't even in the Modeling Group when  
7 that last occurred. So I think it's--it has been a long  
8 time. It's been something that people have been waiting for.

9           I'm fairly optimistic. I think we have tried to  
10 address a lot of the issues that were raised, but I'm also  
11 very excited to see what kind of comments we're going to get  
12 and what we're going to hear today as well throughout the  
13 public comment period.

14           And I think we are going to try to address those  
15 comments in a timely fashion and hopefully get a final rule  
16 out, you know, in the time frame that we're looking for,  
17 which would be within the year, because we know how much  
18 people are interested in having this final and being able to  
19 use it.

20           So, you know, I just wanted to thank Tyler's staff  
21 and his folks. I know how much time they've put into this,  
22 not only in the last, you know, two or three months getting  
23 the proposal out the door, but in the last several years  
24 working with many of you, the 10th Conference and other  
25 meetings that we've had with state and local partners as well

1 as with our federal partners and our stakeholders here today.

2           It has been a long process, but I think, you know,  
3 if you're going to develop something worthwhile it takes  
4 time. And I think, you know, what we have today is a much  
5 better product that we had ten years ago. It's a better  
6 product than we had a year ago. And a lot of that is because  
7 of the work that people have done.

8           And Tyler, I just want to thank you and your  
9 staff. I think they've done a tremendous job pulling the  
10 proposal together, pulling these presentations together  
11 today, but also, you know, of reaching out and working  
12 collaboratively, and I hope we can continue to go forward and  
13 do that.

14           Obviously there are rules as part of the comment  
15 period. You know, during the comment period we'll take  
16 information in. We'll evaluate it. But I don't want people  
17 to think that, you know, that's the end of the process. I  
18 would like to continue collaboration as we go forward.

19           Even after this is final, let's continue the  
20 scientific collaboration as we move forward in the years to  
21 come because, you know, science never stops. It is always  
22 evolving. We're always trying to get better. And even  
23 though we do regulatory actions periodically, it doesn't mean  
24 that it has to stop at that point.

25           So I've been really excited and impressed with the

1 collaboration we've had to date, and I hope we can continue  
2 that even beyond this rulemaking as we continue to improve  
3 the models and make them better and better.

4           So I hope this will be a great opportunity for you  
5 guys to provide your input to us. We are going to be  
6 listening carefully, and I'm looking forward to it. I know  
7 it's a long process and public hearings can--you don't have  
8 as much time maybe as you'd like, but I appreciate--you have  
9 a full comment period after this, so obviously what you say  
10 today will be put into the docket. But if you submit formal  
11 comments, obviously they go into the docket as well and we  
12 will be addressing those comments as we go forward.

13           So with that, I just wanted to thank you guys  
14 again for being here. It obviously by the crowd here shows  
15 your interest in this particular proposal, and I think we  
16 really understand how much this means to everybody and how  
17 valuable this tool is because it's used in many, many ways.

18           The one other thing I wanted to address that we  
19 have tried to address is--probably if you've read the  
20 proposal you've seen it--was the petition from the Sierra  
21 Club to deal with secondary formation of ozone and PM<sub>2.5</sub> from  
22 a PSD standpoint.

23           You know, we had to deal with that kind of  
24 independent of some of the collaborations we've had with you  
25 guys because we were responding to a petition, but I think

1 we've put forward a good path there as well with a fair  
2 amount of flexibility, so I'm really interested in seeing  
3 comments on that.

4           This is something new. Some of the other things  
5 are improvements, but this is something kind of generally new  
6 that we haven't had to really address in the past and now  
7 we're forced through the petition to make sure we address it.  
8 And so I'm really curious to see what kind of feedback we get  
9 on that, and to you guys, what do you think about the  
10 flexibilities we've provided and so forth with that.

11           So I'm not going to drone on because I want to get  
12 to the heart of the discussion and have Tyler and his folks  
13 start walking through some things. And I'm real excited to  
14 see your comments or hear your comments later on this morning  
15 and this afternoon.

16           Again, as George said, if you have any questions,  
17 you know, logistically, track George down or Tyler or I.  
18 We'll be happy to help you. Unfortunately, we can't do a lot  
19 of Q and A on the package itself because this is a public  
20 hearing, but we'll look forward to continuing that dialogue  
21 as we go forward, if not today.

22           So, well, thank you guys very much. I appreciate  
23 your being here. And with that, I am going to turn it over--  
24 to you or to Tyler? Back to George. Thank you.

25           Mr. Bridgers:           Perfect; thanks, Chet. Thank

1 you so much, Chet. So Chet yields two minutes almost to  
2 Tyler Fox, so next up we have Tyler Fox, who is the Air  
3 Quality Modeling Group's group leader.

4 Mr. Fox: I wanted to add my welcome to  
5 everyone. I'm very excited for you all to be here. What I'm  
6 going to attempt to do is provide a road map. You'll hear  
7 from each of the individual members who, as Chet and George  
8 indicated, have put in a lot of time and effort with you and  
9 with their colleagues in getting us to this point.

10 And so I'm really here just to provide that  
11 landscape, hopefully allow you to better connect the pieces  
12 and understand how they fit together and what our thinking  
13 was in putting these things together.

14 So obviously we all recognize that the rule was  
15 published on July 29th. We are accepting public comment for  
16 90 days. We knew that there would be quite a bit of review  
17 and time necessary to provide suitable review by you-all and  
18 others. So that comment period goes through October 27th, so  
19 even though we're hearing from you-all today, this is not the  
20 end of hearing from you. This is just really the beginning.

21 And so 70 some odd days from now, I'm sure you  
22 will be busy testing code, evaluating our evaluations,  
23 providing more, you know, input and feedback of great value  
24 to us, as Chet said, to then get to a final rule, which we  
25 anticipate within the next year, the sooner the better from

1 our standpoint.

2           We don't want it to go too far and get into the  
3 presidential politic season and then have it get kicked over  
4 into the fall or beyond, if at all. So it is very important  
5 that we get comments, that we then working with the regional  
6 offices and the federal partners review those and get to a  
7 final rule in a very timely manner.

8           So let me start by going through the different  
9 sections and giving you this overview. Sections 1 through 3  
10 we really didn't do too much to, but they are critically  
11 important in terms of setting the foundation for the  
12 *Guideline* and what we do. The introduction clearly states  
13 the purpose and the applicability of the *Guideline*. That was  
14 not altered at all.

15           The overview of model use--we pulled in a number  
16 of pieces from the old Section 9 on model accuracy and  
17 uncertainty related to model performance and brought that  
18 forward into the discussion of suitability of models, since  
19 model performance evaluation is the ultimate way in which you  
20 judge the suitability of models in terms of a fit for purpose  
21 type of paradigm. And so we brought those types of  
22 discussions into Section 2 early on to set the stage for  
23 later portions of the *Guideline*. And we also tried to be  
24 more clear in terms of the level of sophistication of air  
25 quality models and providing definitions: screening/refined,

1 demonstration tools, reduced form models.

2           In looking at this, we got confused ourselves with  
3 screening/refined, screening techniques, screening models,  
4 screening--you know, it was just very confusing as you read  
5 through it. And so we really set upon a path to be very  
6 clear and very structured in how we refer to things because  
7 the treatment of these models, given how we refer to them and  
8 the type or the distinction that we give them, is important.

9           And it's important because in Section 3 we provide  
10 the rules of the game. And let me say that these rules of  
11 the game have not changed, and I don't think they've changed  
12 in two decades. They've been the same for a while.

13           Preferred models, we set out the specific  
14 conditions that allows us to put a model in Appendix A, which  
15 means it's a preferred model. Those criteria are the ones  
16 that we adhere to in moving forward with models like AERMOD  
17 and previously ISC--excuse me, and previously CALPUFF, so  
18 those are clear so that the community at large knows what we  
19 are holding ourselves to and what you hold us to in terms of  
20 preferred models, and as you want to put a model forward what  
21 those criteria are.

22           Similarly for alternative models, those conditions  
23 are still the same as they have been for decades, and it  
24 makes clear to the community when a preferred model is not  
25 suitable, when it's not up to the task, an alternative model

1 can be brought forward as long as it meets certain criteria  
2 and conditions and goes through a process. That process has  
3 served us well for many years and will continue to serve us  
4 well, and we provide very--the clarity there in Section 3.

5           And then we over the years have been using the  
6 Model Clearinghouse and we've more formally codified that in  
7 the *Guideline*, not that it's new; it's been existing as part  
8 of the process for decades. We're just codifying that and  
9 making it clear, and George will talk more about that in his  
10 presentation.

11           The next three sections really get into the meat  
12 of things where we specifically identify--having identified  
13 what the criteria are for preferred models and how we  
14 evaluate the suitability of models and view models in  
15 general, we identify those modeling approaches for inert  
16 pollutants--we give the laundry list in the *Guideline*, so I'm  
17 just putting inert pollutants here.

18           We then have Section 5, a new section for ozone  
19 and secondary PM<sub>2.5</sub>, and then a revised Section 6 that then  
20 covers the outside of EPA models, guidance, approaches,  
21 procedures that other federal agencies are applying in order  
22 to meet Clean Air Act requirements.

23           So in Section 4 we are introducing AERSCREEN  
24 formally as the screening model. We are establishing AERMOD  
25 as the preferred model or reiterating it as the preferred

1 model. There are other preferred models in Appendix A for  
2 specific situations, OCD and CTDMPPLUS for complex terrain,  
3 and those still exist. They're there.

4           We are proposing to remove CALINE and replace it  
5 with AERMOD for mobile sources, and we have integrated BLP  
6 into AERMOD, so that would mean that BLP would no longer be a  
7 preferred model in Appendix A. So we're trying to streamline  
8 the process, bring better science and better tools, harmonize  
9 those models so that we, you know, actually have a more  
10 effective and efficient approach to addressing these  
11 pollutants.

12           And then specifically we went in, as most of you  
13 know, and modified the multitiered approach for NO<sub>2</sub> as it  
14 relates to the ambient ratio method, given work that API has  
15 done, as well as the Tier 3 methods and updated those. And  
16 Chris Owen will give you more details about that.

17           In Section 5, as Chet mentioned, we really broke  
18 new ground here in response to the Sierra Club petition.  
19 It's clear upon looking at the models and the techniques that  
20 are available that they are suitable to address single source  
21 impacts.

22           Kirk Baker and Jim Kelly have done a great job and  
23 you-all have provided all the information to the literature  
24 and reports and the like that substantiate that claim and  
25 that assertion. And that's an important one for us to then

1 move forward and say, okay, so now that the models are  
2 capable, what is it that EPA would recommend and/or require  
3 an applicant to do in the context of PSD.

4           So we cannot establish a preferred model or  
5 technique at this point in time. Instead we're recommending  
6 a two tiered approach with detailed guidance that allows the  
7 applicants to work with the state and local agencies and the  
8 regional offices to come up with the appropriate approach, as  
9 Chet mentioned, the flexibility that we think is appropriate  
10 and warranted here given the nature of the models and the  
11 nature of the pollutants that we're dealing with.

12           In the preamble you'll notice that we also gave  
13 some foreshadowing to EPA rules related to policy tools that  
14 are used in the PSD program. Particularly we referenced  
15 anticipated rulemakings and developing what we call model  
16 emissions rates for precursors, or MERPs. MERPs are a good  
17 thing, not a bad thing. You don't need any vaccination for  
18 them.

19           And what you'll notice in the preamble is that we  
20 try and provide information and in fact have put two memos  
21 into the docket to try and, you know, flow chart show you how  
22 the system would work with that with this two tiered  
23 approach. In the PM<sub>2.5</sub> guidance we have a three tiered  
24 approach, and the first is a qualitative type of assessment.

25           What we anticipate is that the development of

1 these MERPs, which would establish an emissions level, that  
2 if a source comes in below that level what EPA has done in  
3 terms of demonstrating that level in being equivalent to the  
4 SIL value or significance threshold is sufficient to meet  
5 your requirements in demonstrating compliance for the  
6 precursor, so you are good to go and don't have to do any  
7 additional analysis.

8           What now is a second tier and then a third tier  
9 would then morph into what we're calling the first tier and  
10 second tier of what's in Appendix W, the first tier being  
11 using existing information, modeling, reduced form models,  
12 other types of information short of full scale modeling to  
13 address that pollutant for that source, and then a second  
14 tier, which would be full scale modeling that then Kirk's  
15 guidance goes into a lot of detail in how to do that.

16           In Section 6 we clarified and worked very closely  
17 with the Federal Land Management community. We have the role  
18 of FLMs, the FLAG guidance, and AQRVs, specifically  
19 visibility and deposition. We reference the FLAG guidance  
20 and other guidance documents that the FLMs are responsible  
21 for. And then we also acknowledge BOEM and the modeling of  
22 OCS, the outer continental shelf modeling that goes on, as  
23 well as FAA and their new tool, the AEDT tool, for air  
24 quality assessments that has brought in AERMOD and also has  
25 other capabilities.

1           One thing that I wanted to clarify because we've  
2 gotten a lot of questions and it's clear that in the preamble  
3 we didn't provide as clear an explanation as perhaps we  
4 should have, so we're likely going to put a memo to the  
5 docket along these lines, which is we're doing two things.  
6 One is we're updating the regulatory version from 14134 to  
7 15181 to address several bug fixes. And Roger is going to go  
8 through that to be clear about what goes into now the new  
9 regulatory version.

10           At the same time, as part of this proposal, we are  
11 recommending as part of the proposal use of specific data  
12 options for public comment that then upon final rulemaking we  
13 would codify and make as part of the regulatory default.

14           So I know a lot of people are saying, "Wait a  
15 minute. Why aren't these things part of the regulatory  
16 default now?" Well, we're in a proposed rulemaking. They  
17 won't get codified until we go through the public comment  
18 process and then upon final rule, we'll bring in those  
19 aspects, those elements that we're getting comment on, and  
20 make those part of the regulatory default model.

21           That's why these options have remained in beta  
22 form in the current version, 15181, to allow your testing and  
23 evaluation of those techniques. So I know there was some  
24 almost disappointment in the proposal, but I just want to  
25 make sure everybody is clear. We couldn't make them

1 regulatory default. That would preempt the whole process.  
2 So we're going through the process, and at the end of the  
3 process with your input we would expect to then codify those  
4 in a final version of AERMOD.

5 We'll likely allow for some of these options to  
6 remain as beta to facilitate continued testing and evolution  
7 of things, but again, the whole process is one that would end  
8 up with a regulatory default that would reflect those  
9 changes, so hopefully that helps clear the air on that.

10 Also in terms of long range transport assessments,  
11 I just wanted to reiterate that we're not--we no longer  
12 contain language in Appendix W requiring the use of CALPUFF  
13 or any other Lagrangian model for long range transport  
14 assessments.

15 Based on work that James Thurman and Chris Owen  
16 have done, based on a variety of source and sector scenarios  
17 from the AERMOD Implementation Workgroup, we did very  
18 detailed modeling that allowed us to come to the  
19 determination and for your comment and input that we feel  
20 that near-field modeling is sufficient in doing your NAAQS  
21 compliance demonstration. So we do not consider a long range  
22 transport assessment necessary for inert pollutants beyond 50  
23 kilometers or thereabout. So we're reducing the burden on  
24 the community in terms of doing those assessments.

25 Now, we do recognize that long range transport

1 assessments may be necessary for a limited number of  
2 situations for PSD increment, especially Class I increment.  
3 And so we've allowed for a screening approach.

4           Therefore, even though CALPUFF is not a preferred  
5 model, it can be used as a screening technique along with any  
6 other Lagrangian model, which are the typical models used in  
7 this context, to, again, sequence through a multistep  
8 screening with input from the regional office if you get to  
9 that point. So it warrants the appropriate model when and  
10 where necessary. And given our interactions with the  
11 regional offices, I think they can count collectively on one  
12 hand the number of instances in which a detailed PSD  
13 increment analysis or cumulative analysis was done.

14           So we really felt that the need had been  
15 diminished, especially when you start factoring in once you  
16 comply with the NAAQS in the near field, the long--the far  
17 field impacts are far less. So we're reducing the onus and  
18 the burden on the community of conducting those types of  
19 analyses.

20           And then we ended with Sections 7 through 9 in  
21 terms of how to inform and apply the models. So Section 7  
22 had a lot of scrubbing. There still are specific  
23 recommendations for dispersion models that you might not find  
24 elsewhere and that are important to remind the community in  
25 the context of Appendix W, but we removed a lot of details

1 that were seemingly there because AERMOD in 2005 was new and  
2 we wanted to err on the side of providing more information.

3 I think after ten years a lot of that is not  
4 necessary in Appendix W. It's more appropriate in other  
5 documentation. And so we focused on certain critical areas  
6 of informing the model, and in particular dispersion models,  
7 for the community to understand and better appreciate and  
8 engage with us on.

9 And then in Section 8 we did do a lot of work in  
10 terms of looking at the model input data. You'll hear from  
11 George later that the modeling domain we are limiting. We've  
12 mentioned over and over again the overly conservative  
13 aspects, particularly of the resource manual, and so that  
14 will end with this Appendix W. The modeling domain will be  
15 no more than 50 kilometers for NAAQS, and that's--I mean  
16 that's in there.

17 We also talk about modeling domains for SIP  
18 demonstrations for ozone and PM<sub>2.5</sub>, and we have very much  
19 tried to distinguish PSD and single source assessments versus  
20 SIP demonstrations for control strategy purposes and ozone  
21 and secondary PM. So we're trying to be very clear.

22 On source data we've clearly outlined that nearby  
23 sources for the most part we would prefer that they be  
24 captured in terms of their impacts and contributions through  
25 ambient monitoring data, and if they need to be explicitly

1 modeled, they can be modeled with actual emissions. Tables  
2 8-1 and 8-2 have been modified appropriately and accordingly.

3           And in terms of background concentrations, we try  
4 and more clearly lay out the construct of single source--  
5 isolated single source situations and multisource situations  
6 such that you're putting together more representative, more  
7 appropriate characterizations of contribution from the  
8 different sources and not overly conservative ones. And so  
9 we've tried very much to remedy that situation.

10           And in terms of meteorological data, you'll hear  
11 from James in terms of bringing in prognostic information.  
12 You know, we've got difficulty and we know the meteorological  
13 inputs are critically important, so we want to have flexi-  
14 bility in terms of bringing in more representative data, and  
15 the prognostic data allow us that opportunity.

16           And so we've been talking about this since the 8th  
17 Modeling Conference, I believe, and now finally it's a  
18 reality. And thanks to the hard work of James, Chris, and a  
19 number of other folks in the community, bringing those  
20 prognostic data and sharing them for use in dispersion models  
21 as they are for photochemical and other models is a great  
22 advancement.

23           And then finally we end with the regulatory  
24 application of models, very strong emphasis on modeling  
25 protocols, and then provide a very clear description, much

1 clearer than I think we've had in the past, of the multistage  
2 approach to demonstrating compliance, the single source  
3 assessment of oneself vis-à-vis a significance threshold and  
4 then a cumulative impact assessment and evaluation of whether  
5 or not you are contributing significantly to a potential  
6 violation or a model violation and how that process works.

7           So we go through the whole process and end with--  
8 you know, once you know the rules of the game, once you know  
9 what models to apply and how to apply them, then the context  
10 in which you know you do that in your compliance demon-  
11 stration. And we end with the use of measured data in lieu  
12 of model estimates, not changed too much, but we're still  
13 struggling with examples and situations that evidence this  
14 type of approach.

15           So this flexibility is still there. How it will  
16 be put into practice is still an outstanding question, and we  
17 would very much welcome input and thoughts from you-all if  
18 you have situations that you think are evidence of that type  
19 of approach.

20           So I don't know long I went, but thank you very  
21 much. And now all the detailed presentations will allow you  
22 to better understand each section and change.

23           Mr. Bridgers:           Actually, Tyler, I've got a new  
24 tool for our 101s in my yearly reviews right here.

25           Mr. Fox:                It won't work. You always talk

1 too long.

2           Mr. Bridgers:           Oh, oh, right; that was last  
3 night. I want to make two quick announcements, just kind of  
4 roaming around the room. I realize that we are full on  
5 seats. There's actually still some seats in this front row  
6 up here, and there's a row right up here that during the  
7 break I'll pull these seats forward so there's a little more  
8 flexibility, but there's probably, I don't know, maybe as  
9 much as a dozen seats up here and we'll see during the break  
10 if we can get a few more. But we had over 260 seats in the  
11 room, and so we'll accommodate that.

12           And the other thing is I do note that the screen  
13 is sort of low and I know some in the back can't see  
14 everything. I was going to make this announcement later.  
15 All the presentations that are given today and tomorrow are  
16 going to be posted on the web, but there's an Easter egg, if  
17 people know what Easter eggs are. It's actually already  
18 posted on the web.

19           If you go to our 11th Modeling Conference page,  
20 which most of you will know, and scroll down to the agenda  
21 and click on it, I have embedded links for all the talks.  
22 And so Roger's talk that he's getting ready to give is there.  
23 So if you have WiFi and you can't see from the back and you  
24 can get to our 11th page and you can click through, you can  
25 get to the presentations. All these presentations will also

1 get loaded to the docket, as I said earlier.

2           So I will call Roger Brode to the podium. And  
3 Roger is going to give two talks. The first talk is  
4 specifically aimed at the regulatory update that we just made  
5 with AERMOD version 15181, and then we'll switch and have a  
6 separate presentation that will talk about the proposed  
7 options.

8           So hopefully there's a good distinction here  
9 between our regulatory release and what the proposed options  
10 are in the revised version of AERMOD along the lines of what  
11 Tyler gave a primer on just a minute ago. So Roger?

12           Mr. Brode:           Thank you, George. So again,  
13 I'll talk about the update to the regulatory options within  
14 AERMOD that were just basically bug fixes. In the next talk  
15 we'll talk about some of the proposed beta options and what  
16 we've been doing there.

17           So the regulatory version of AERMOD and AERMET has  
18 been updated to version 15181, which corresponds with June  
19 30, 2015. And they include several bug fixes for AERMOD and  
20 AERMET, which I'll kind of go over highlights of that next.  
21 We've also incorporated some proposed enhancements to the  
22 non-default/beta options which are going to be discussed in  
23 the next presentation. And these updates are documented in  
24 Model Change Bulletin 11 for AERMOD and MCB6 for AERMET.

25           So one of the key bug fixes that's been sort of

1 out there for a while but hardly ever reared its head, but  
2 did not that long ago, something we've identified and  
3 addressed in the AERMOD Implementation Guide, which is that  
4 if you have a relatively tall stack in a relatively small  
5 urban area--relative is a relative term, but we've noticed  
6 that some unrealistically high concentrations due to the way  
7 plume rise is calculated--there's sort of an unrealistic  
8 limit on plume rise--may show up.

9           And this has been addressed in the AERMOD  
10 Implementation Guide quite a few years ago, which sort of  
11 suggested those sources may be better treated as rural with  
12 some adequate justification. And again, this is an issue  
13 that didn't come up very often, but did not too long ago from  
14 Region 5, the state of Michigan in fact.

15           So the new version has addressed that as a  
16 formulation bug fix, and the approach that we used sort of  
17 emulates the penetrated plume algorithm that's used under  
18 convective conditions. And the next slide is going to give  
19 an example of a tall stack with--an urban area with 55,000  
20 population, and it will show the before and after.

21           So the before on the left, the red curve is the  
22 urban curve and the blue curve is rural. Again, that was  
23 before. And the next slide, after, it shows a very, very  
24 significant, about a factor of 10 higher with urban option  
25 for that source over the rural. And then the right slide

1 shows, you know, that they're in much better agreement, so  
2 much more reasonable from what you would expect.

3           We don't have a lot of data to evaluate this, but  
4 this was the case, and the new concentrations with the urban  
5 option show much better agreement with nearby monitors in  
6 that case, which is in the Detroit area.

7           So in terms of bug fixes again, there weren't that  
8 many, but there was a issue that showed up with the POINTCAP  
9 beta option for capped stacks and determined that if you use  
10 POINTCAP with the no stack-tip downwash option, you could get  
11 some erroneous results because the POINTCAP option itself  
12 takes care of how stack-tip downwash would be treated.

13           We also corrected an issue with the emission rate  
14 being modified for area, line or open pit sources in some  
15 cases with the FASTAREA or FASTALL option. And there are  
16 some pretty anomalous results that had shown up in some cases  
17 there. We believe those have been fixed now.

18           And another issue that had been brought up a while  
19 back, and I don't have the details here, but there was an  
20 issue if the wind is blowing nearly perpendicular to an area  
21 source or a line source, an elongated area source, some very  
22 anomalous results showed up there. And it turned out that  
23 one of the tolerance levels in the area source algorithm was  
24 a bit too splat, so we tightened that and that seemed to  
25 clarify that--clean up that issue.

1           So there are a number of subroutines related to  
2 the PVMRM option, one of the beta options for modeling NO<sub>2</sub>.  
3 And basically a lot of it focused on the penetrated source  
4 contribution and did a more explicit treatment of the  
5 vertical and horizontal dimensions of the contributing  
6 sources for that penetrated plume component. And that turned  
7 out to show up with some importance in the New Mexico Empire  
8 Abo evaluation database.

9           We also modified the determination of NO<sub>x</sub>  
10 concentrations to account separately for the horizontal plume  
11 component and the terrain responding plume component. So  
12 there are some aspects of the overall general formulation of  
13 AERMOD that have been incorporated more fully within the  
14 PVMRM algorithm for NO<sub>2</sub>.

15           Continuing on bug fixes, there are some issues  
16 that showed up with the use of the DAYRANGE keyword where you  
17 could specify a range of days to process for individual days,  
18 and those could be specified either as a month/day or as a  
19 Julian day. And it turned out there were some issues if you  
20 define those day range inputs for a leap year versus a non-  
21 leap year. That wasn't being handled properly, so that's  
22 been taken care of and those issues, as far as we know, were  
23 resolved with this update.

24           In terms of AERMET bug fixes, there weren't that  
25 many, but we did make some changes to the ADJ\_U\* option in

1 AERMET that's used without the Bulk Richardson Number method.  
2 And we made some modifications basically to be more  
3 consistent with that original paper by Venkatram and Qian, or  
4 Qian and Venkatram.

5           And in the process we also noticed a bug with the  
6 Bulk Richardson Number option in AERMET where the calculation  
7 of the CDN was incorrectly using Z0, or Z2 over Z0 instead of  
8 ZREF over Z0. Those are the bug fixes, so I yield some of my  
9 time to the next slide.

10           So this talk will be talking about the proposed  
11 updates to the AERMOD Modeling System. So I begin with  
12 version 12345, which is a version I wish we could have kept  
13 forever because it's so easy to remember, but we incorporated  
14 some non-default/beta options to address concerns regarding  
15 model overpredictions during stable/low wind conditions.

16           And we have to acknowledge the contributions of  
17 API, which funded a low wind study that AECOM conducted back  
18 in 2010, I guess, and that certainly helped move the ball  
19 along to address this issue. So there is non-default options  
20 that include the LOW\_WIND option in AERMOD and the ADJ\_U\*  
21 option in AERMET. And so the proposed updates to these  
22 options are discussed here.

23           So there are going to be some additional updates  
24 to the regulatory options that are being proposed, including  
25 a buoyant line source option, which was mentioned earlier, to

1 eliminate the need hopefully for the BLP model as a separate  
2 preferred model. And also we're going to address the capped  
3 and horizontal stack issue. And these updates are going to  
4 be subject to public review and comment and then would be  
5 codified as part of the final rule action as appropriate, as  
6 Tyler mentioned.

7           So again, beginning with 12345, AERMOD included  
8 these low wind beta options. Prior to 15181 AERMOD included  
9 a LowWind1 option and a LowWind2 option. And basically this  
10 just addresses the minimum value of sigma-v, the horizontal  
11 dispersion coefficient.

12           So the LowWind1 option that we put in there  
13 eliminates the horizontal meander component that's a part of  
14 AERMOD and also increases the minimum sigma-v from the  
15 default, currently at 0.2 meters per second, to 0.5 meters  
16 per second.

17           We also added a LowWind2 option that retains the  
18 meander--horizontal meander component, but put an upper limit  
19 of 0.95 on that, and then also increased the minimum value of  
20 sigma-v from 0.2 to 0.3. And these two options are mutually  
21 exclusive. You can't try to use both of them at the same  
22 time. So that was part of the initial foray into these beta  
23 options for addressing low wind issues.

24           So with version 15181 we've added a new low wind  
25 option, and for the lack of a better option we call it

1 LowWind3. So this is sort of kind of a hybrid of the two in  
2 a way. It increased the minimum sigma-v from 0.2 to 0.3,  
3 which is consistent with the LowWind2 option, but eliminates  
4 upwind dispersion, which is consistent sort of with the  
5 LowWind1 option, but it doesn't just ignore meander.

6           So the LowWind3 option uses the effective sigma-y  
7 value that would replicate the centerline concentration  
8 accounting for meander, but then it puts a limit on the  
9 lateral spread at 5 sigma-y off the centerline, so it's  
10 similar to the FASTALL option that's in AERMOD that sort of  
11 does that, so it replicates centerline concentration--or the  
12 contribution of meander to the centerline concentration, but  
13 just enhances the spread but doesn't include full upwind  
14 dispersion.

15           So we proposed in the notice of proposed  
16 rulemaking that the LowWind3 option be incorporated into the  
17 regulatory version of AERMOD, while the LowWind1 and LowWind2  
18 options are still available for testing purposes.

19           So the other key beta option that we've been  
20 dealing with especially focused on the low wind issues is the  
21 beta ADJ\_U\* option in AERMET. And there's an ADJ\_U\* option  
22 in AERMET that's associated with the Bulk Richardson Number  
23 option in AERMET to use Delta-T data, and that's been  
24 modified to include a more refined treatment of  $\theta^*$  and to  
25 extend its suitability or applicability to very stable/low

1 wind conditions based on a more recent paper by Luhar and  
2 Raynor, and that actually seems to have helped some of the  
3 evaluations that we've seen.

4           So this updated ADJ\_U\* option in conjunction with  
5 Bulk Richardson also includes some modifications in AERMET--  
6 in AERMOD, pardon me--to subroutine TGINIT to calculate  $\theta^*$ .  
7 And some of the issues that we've dealt with on these new  
8 options is, you know, the--is very low wind speed conditions  
9 and it can be surprisingly sensitive in terms of predicting  
10 the profile of potential temperature gradients.

11           So we have proposed in the notice of proposed  
12 rulemaking that the ADJ\_U\* option either with or without the  
13 Bulk Richardson option in AERMET be incorporated as part of  
14 the regulatory version of the modeling system, so it's part  
15 of the proposal.

16           So capped and horizontal stacks, this is an issue  
17 that's been around for some time. Back in 1993 the Model  
18 Clearinghouse had issued a memorandum that provided  
19 recommendations for modeling capped and horizontal stacks,  
20 and that procedure involved setting the exit velocity to a  
21 very low number, .001 meter per second, but adjusting the  
22 stack diameter to maintain the actual flow rate and buoyancy  
23 of the plume. So that's something that would be done by the  
24 user to modify the inputs to the model.

25           However, the PRIME numerical plume rise algorithm

1 for building downwash that was incorporated in 2005, I guess,  
2 with AERMOD uses the input stack diameter to define the  
3 initial radius of the plume, and use of a very large  
4 effective radius may alter the results in physically  
5 unrealistic ways. In fact, we found cases where the model  
6 would crash because the--when that was being done.

7           So that prompted the need to do some different  
8 approaches. The AERMOD Implementation Guide actually  
9 suggests just setting the exit velocity to a very low number  
10 and use the actual stack diameter as an interim solution.  
11 However, that could produce--introduce some bias towards  
12 overprediction there.

13           So we eventually had--since version 06341 we've  
14 had some draft/beta options to model capped and horizontal  
15 stacks more explicitly, and but they're again not--they're  
16 non-default beta options. So POINTCAP and POINTHOR source  
17 type is used to trigger these, and the user just inputs the  
18 actual stack exit velocity and stack diameter.

19           So for non-downwash sources it basically  
20 implements the Model Clearinghouse procedure from 1993,  
21 although there are some subtle differences in AERMOD as  
22 opposed to ISC, so the POINTCAP/POINTHOR, that option  
23 actually accounts for the vertical profiling of meteoro-  
24 logical conditions in AERMOD that's more detailed than within  
25 ISC.

1           For the POINTHOR--the horizontal stack option  
2 actually uses the exit velocity assigned input to the model  
3 as the initial horizontal velocity of the plume, and so the  
4 issues that showed up--again, the prime downwash option uses  
5 the numerical plume rise approach, and that actually can  
6 account directly for the horizontal trajectory of the plume  
7 for horizontal stacks.

8           For the POINTCAP option with downwash, the initial  
9 plume radius is assigned to be twice the input stack  
10 diameter--I guess that shouldn't be the plume radius, the  
11 diameter--to account for initial plume spread from the cap  
12 interacting--the plume interacting with the cap, and the  
13 initial horizontal velocity is assigned to be based on the  
14 exit velocity divided by 4. So it sort of has some  
15 horizontal momentum to it but some vertical as well, rise.

16           So buoyant line sources--again, we've discussed  
17 this briefly, but Appendix W currently recommends the use of  
18 the BLP model for modeling these sources, but the BLP model  
19 is based on some outdated dispersion theory, P-G dispersion  
20 coefficients, and the meteorological data processor for BLP,  
21 PCRAMMET, is not capable of processing the current meteoro-  
22 logical data that we're using, including the 1-minute ASOS  
23 data. So there are some complications and limitations on  
24 being able to apply BLP well. It also lacks the processing  
25 options that would support the form of the new one hour SO<sub>2</sub>

1 and NO<sub>2</sub> standards as well as the 24 hour PM<sub>2.5</sub> NAAQS.

2           So beginning with version 15181, AERMOD includes  
3 an option to model buoyant line sources using the BUOYLINE  
4 source type. And it allows for using the buoyant line--  
5 modeling of buoyant line sources using meteorological data  
6 that are processed through the AERMET meteorological  
7 processor. It also allows the use of the AERMOD processing  
8 options to support the form of the new standards. So  
9 basically it just takes--it actually takes the inputs and  
10 calls the BLP model directly.

11           So now we'll talk about some of the evaluations of  
12 the proposed updates. There's a lot that's gone on here.  
13 I'll try to cover some of the highlights. But we have again  
14 the proposed beta ADJ\_U\* option in AERMET and the Low\_Wind  
15 option in AERMOD.

16           And they've been evaluated based on several  
17 relevant field studies, including--as I mentioned here, there  
18 was a 1993 surface coal mine study, Cordero Rojo mine in  
19 Wyoming, that was fugitive emissions of PM<sub>10</sub> in 24 hour  
20 concentrations, and this was done with version 14134. We've  
21 also had two low wind studies that were part of the API-AECOM  
22 low wind study, the '74 NOAA Oak Ridge, Tennessee study and  
23 the Idaho Falls study in the same year.

24           So just some general caveats on model evaluation:  
25 it's a complex business, especially in these very extreme

1 conditions, very low wind speeds. Slight errors or  
2 uncertainties in the wind direction or wind speed could  
3 significantly affect the concentrations, and it would affect  
4 the conclusions from the model performance evaluation, so  
5 keep that in mind.

6           So quickly, the surface coal mine study--we've  
7 shown this before, and the results presented here are  
8 actually based on the previous version of AERMOD, but it was  
9 a two month field study. Again, it was largely driven by  
10 fugitive emissions from road dust from the trucks driving  
11 around the mine. And we were able to apply the Cox-Tikvart  
12 protocol for determining the best performing model to this.  
13 We presented these results based on version 14134, but the  
14 results are likely to be similar for the current version.

15           That just shows a schematic of the mine, and this  
16 is the composite performance measure that shows with  
17 confidence intervals the different options. Starting from  
18 the top, the top three are with ADJ\_U\*. The top one is with  
19 ADJ\_U\* and LowWind2, then LowWind1, and then no low wind.  
20 And there's very little differentiation between the low wind  
21 options there.

22           But the bottom three are without the ADJ\_U\* option  
23 in AERMET, so the default, and there's a little bit more  
24 difference in the low wind options, but the key thing is that  
25 the top three are closer to the left side, and that means

1 better performance, so a smaller value of CPM does imply  
2 better model performance.

3           More importantly maybe, the model comparison  
4 measure is the--compared the performance of one model against  
5 another. So in the top three, again, that shows performance  
6 with and without the ADJ\_U\* option for the different low wind  
7 options, and the key point there is that those confidence  
8 intervals, the horizontal bars, do not cross zero, and that  
9 suggests that the difference in performance is statistically  
10 significant, and that's the key point here. The bottom three  
11 just basically show the differences between the low wind  
12 options. Again, there's very little differentiation there.

13           So again, the low wind option--the LowWind1  
14 options in AERMOD appeared to have limited effect on model  
15 performance in this case, but it does show significant  
16 improvement with the ADJ\_U\* option.

17           So that brings us to the Oak Ridge and Idaho Falls  
18 studies, which are really the more relevant and key databases  
19 that we've been working with that API and AECOM introduced a  
20 few years back. It's sort of sad to see that the best tracer  
21 studies are from the mid '70s, but at least we still have  
22 that data intact.

23           So there are just some caveats and I won't go over  
24 the details, but it's--especially under these extreme  
25 conditions some of these issues or decisions you might make

1 may have a little bit more relevance. So EPA assumed a  
2 different surface roughness for Oak Ridge, .6, compared to  
3 the original assumption in the AECOM/API study of .2.

4 One of the complications with the Oak Ridge study  
5 is the winds were so low that they couldn't measure them, and  
6 so the wind speeds reported were based on laser anemometry.  
7 And so basically it's the Oak Ridge peninsula, so there are  
8 some hollers in there, in the Oak Ridge peninsula itself, and  
9 they had laser anemometry based on lasers that were up on the  
10 ridges, and where those lasers intersected was about 20  
11 meters above the bottom, where the source was.

12 So we made a different assumption about the  
13 measurement height, and it doesn't necessarily change the  
14 results that much, but we also made some adjustments to the  
15 surface roughness for these studies.

16 So that's the Oak Ridge area. You can see there's  
17 some terrain there; you can see where the arcs are. So this  
18 is some of the results with the version 15181. The paired  
19 concentrations are on the left. The predicted to observed  
20 ratios are on the right. This is done by arc. So you can  
21 see with the default options there's pretty significant  
22 overprediction at this site.

23 When we bring in the ADJ\_U\* option and LowWind2--  
24 well, without the ADJ\_U\* and LowWind2 it does improve things  
25 somewhat noticeably. On the right side it's the comparison

1 with the LowWind3 option in the newer version of AERMOD  
2 without the ADJ\_U\*, so the low wind option does make some  
3 impact here.

4           This is with ADJ\_U\* and no low wind. On the left  
5 it's the previous version; on the right it's the newer  
6 version. And it eliminates much of that overprediction, but  
7 there's still a pretty wide spread.

8           This is with ADJ\_U\* and LowWind2 versus LowWind3,  
9 and it looks pretty good on the left. There's a little bit  
10 below the 1 to 1 line on the right with the LowWind3 option,  
11 but again, there are some additional caveats here, is that  
12 there is terrain as part of the Oak Ridge site, and that has  
13 not been accounted for in the evaluation that API did or that  
14 we've done here.

15           This is the Idaho Falls study area. You can see  
16 where the arcs were--the 100, 200, 400 meter arcs were  
17 situated, but it's pretty flat, much different than the Oak  
18 Ridge. So these results are paired by arc again, and with  
19 the default options there is some overprediction, roughly  
20 about a factor of 2 overall, but it's pretty consistent with  
21 distance.

22           Without the ADJ\_U\* with LowWind1 (sic) on the left  
23 for the previous version, LowWind3 on the right for the new  
24 version, eliminates most of that overprediction and actually  
25 looks pretty good just with the low wind options.

1           With ADJ\_U\* and no low wind, again, it eliminates  
2 most of that overprediction, but there's a little bit of  
3 tendency with distance for the ratios to go down, but maybe  
4 that's okay. With the ADJ\_U\* and the low wind options, the  
5 predicted is really good at the closest arc, which would  
6 probably be the most important for this, but still pretty  
7 good performance overall.

8           And this is with the--that was--so these are all--  
9 the previous results were the degraded 1-layer data, but the  
10 one thing that the Idaho Falls study provided is we got the  
11 raw data and we were able to calculate some Delta-T measure-  
12 ments so we would be able to use the Bulk Richardson Number  
13 option in here, and this is one of the more surprising  
14 results, that without the ADJ\_U\*, the Bulk Richardson Number  
15 option didn't work that well, especially at the closest arc.  
16 You can see a pretty wide spread and quite a bit of under-  
17 prediction at the 100 meter arc. It got a little bit better  
18 downwind. With the ADJ\_U\* and Bulk Richardson, the results  
19 actually look much, much better, so that was an encouraging  
20 result.

21           So that kind of wraps it up. I can't take any  
22 questions, which is fine by me. Thank you.

23           Mr. Bridgers:           Thank you, Roger. Actually,  
24 that was saying 15 more minutes, so---

25           Mr. Brode:               (interposing) Okay. Do you

1 want me to keep going?

2           Mr. Bridgers:           No. James had already yielded  
3 some time to you. I didn't want you to feel too rushed  
4 because that was an important presentation because that gets  
5 at the heart, at least the front end, of what's in our  
6 proposal.

7           So next up, James Thurman from our Modeling Group  
8 is going to give us a quick presentation--I'm not going to  
9 even run this, James; I know you'll be done ten minutes--on  
10 AERSCREEN.

11           Dr. Thurman:           Okay. This will be the best  
12 presentation from EPA today because it's only four slides.  
13 I'm James Thurman from the Modeling Group to give you a quick  
14 update on AERSCREEN.

15           This slide shows the status of AERSCREEN through  
16 the years, first mentioned in the 2000 (sic) *Guideline* when  
17 it said it would be released in the fall of 2005, but it made  
18 it till 2011 where we released AERSCREEN and the accompanying  
19 meteorological processor MAKEMET to generate the screening  
20 met.

21           We also issued a memo in April of 2011  
22 recommending AERSCREEN as the recommended screening model for  
23 EPA, because it's based on AERMOD, which represented the  
24 state of the science. And just to remind you, AERSCREEN is  
25 only done for single sources only. It doesn't have the

1 multisource capability.

2           And then for the proposed *Guideline* for 2015 we're  
3 incorporating AERSCREEN into the *Guideline* as the screening  
4 model for AERMOD, and it will be applicable in all types of  
5 terrain and building downwash applications. And AERSCREEN is  
6 discussed in detail in Section 4.2.1.1 of the proposed  
7 *Guideline*.

8           I'll just note the latest version of AERSCREEN,  
9 15181. We incorporated the inversion break-up fumigation and  
10 coastal fumigation options from SCREEN3. That was probably  
11 one of the last reasons people were running SCREEN3 other  
12 than AERSCREEN is too hard to run, which as Tyler and I say,  
13 real men run AERSCREEN.

14           It uses the AERMOD equations for the sigma-y and  
15 sigma-z estimates used in the fumigation calculations. And I  
16 won't go into detail here, but you can see the AERSCREEN  
17 User's Guide for full details on how these fumigation options  
18 are incorporated.

19           We also tried to make the code more portable  
20 across operating systems by eliminating system calls to copy  
21 and delete files when possible, so we actually do Fortran  
22 statements to the write and delete. There are still some  
23 system calls like clearing the screen, but we've put in the  
24 code and commented out for the Unix and Linux options of  
25 clearing the screen and also added a debug option to output

1 the intermediate output from the PROBE and FLOWSECTOR  
2 subroutines and also output the intermediate fumigation  
3 estimates if you want to see what was going on besides the  
4 final results, and we also did some bug fixes.

5           And one thing on the fumigation options, I did  
6 change it where you don't have to run AERSCREEN and do all  
7 the AERMOD screening runs inside AERSCREEN. It will actually  
8 just do the fumigation options, so you can usually get a  
9 quick result there.

10           And then on MAKEMET we incorporated the ability to  
11 adjust the surface friction velocity,  $U^*$ , based on the AERMET  
12 adjustment algorithms. That was done to help Chris Owen's  
13 work on mobile source modeling. Right now this  $U^*$  adjustment  
14 is not done when you're calling MAKEMET from AERSCREEN. It  
15 sets that option to no, but if you want to run the  $U^*$  adjust-  
16 ment with MAKEMET, you can do that outside of AERSCREEN by  
17 running MAKEMET on your own.

18           We may incorporate the ability in future versions  
19 of AERSCREEN to make it an option to do a  $U^*$  adjustment, not  
20 for like regulatory screening runs, but if you just want to  
21 get a quick result of how much change the  $U^*$  adjustment will  
22 make on your results. And then that's it, and I yield my  
23 time to Chris.

24           Mr. Bridgers:           In the interest of political  
25 correctness, it would be real modelers run AERSCREEN. I want

1 to make sure that we stay aboveboard.

2           While I'm changing presentations, I also wanted to  
3 point out, since I'm the point of contact on the SCRAM web  
4 site updates, AERMOD 15181, AERSCREEN 15181, and MAKEMET  
5 15181, they were all posted when we posted the proposal.

6           Just so that we're also crystal--as clear as we  
7 can be, if you go to the 11th Conference Modeling page, there  
8 are some specifics for each of the postings of the model, but  
9 if you're going for the regulatory release, I recommend going  
10 to the other part of SCRAM where you normally would download  
11 AERMOD or AERSCREEN because all the model change bulletins  
12 and the other supporting information from its regulatory  
13 application is there. So if you're using the link for the  
14 11th Modeling page to download the model, I'd recommend going  
15 over to the other.

16           All right. So we will transition from screening  
17 and the demise of SCREEN3 in the regulatory application to  
18 changes with respect to NO<sub>2</sub> with Chris Owen, and Chris, I'm  
19 going to give you a little extra time. You lucked out.

20           Dr. Owen:           Thanks, George. It looks like  
21 James actually yielded his time to you, but that's okay. I  
22 think we can get through this in time. And actually with the  
23 NO<sub>2</sub> modeling we're still referring to screening, just of a  
24 slightly less conservative nature.

25           So I'm going to give an overview of the proposed

1 changes to AERMOD and Appendix W with respect to NO<sub>2</sub>  
2 modeling. I'd like to thank my workgroup, which consisted o  
3 of members from OAQPS, Regions 3, 4, 5, 6, and 10, and the  
4 Office of Research and Development.

5           In short, EPA is proposing to modify both AERMOD  
6 and Section 4.2.3.4 of Appendix W. These proposed changes  
7 will incorporated ARM2 as the regulatory default option for  
8 Tier 2 screening. It will adopt OLM and PVMRM as the  
9 regulatory default options for Tier 3 screening, and we will  
10 actually be updating PVMRM with additional dispersion and  
11 plume calculations, currently dubbed PVMRM2.

12           This slide gives some details on the ARM2  
13 adoption. ARM2 or the ambient ratio 2 method was originally  
14 developed by an API funded study. The study was eventually  
15 published in a peer reviewed journal article in 2014 by Marc  
16 Podrez in *Atmospheric Environment*. The proposed version of  
17 ARM2 in Appendix W and AERMOD has one modification to the  
18 version that was provided in the final published paper, and  
19 that is we propose to modify the minimum default ambient NO<sub>2</sub>  
20 to NO<sub>x</sub> ratio to 0.5.

21           This proposal is to bring consistency between the  
22 Tier 2 and Tier 3 methods. Specifically we have a  
23 recommendation for the default NO<sub>2</sub> to NO<sub>x</sub> in-stack ratio for  
24 the Tier 3 methods to be equal to 0.5. The slide here shows  
25 some model simulations comparing PVMRM with an in-stack ratio

1 of 0.5 and an in-stack ratio of 0.2.

2           You can see that when you use PVMRM with this  
3 recommended default, 0.5, your ambient NO<sub>2</sub> to NO<sub>x</sub> ratios are  
4 also equal to 0.5, and thus we believe that the minimum  
5 ambient NO<sub>2</sub> to NO<sub>x</sub> ratio for ARM2 is most appropriately set  
6 to 0.5 to be consistent with the Tier 3 methods.

7           For the OLM and PVMRM adoption and implementation,  
8 this will be very similar, what we currently have in the  
9 model and what we've recommended in past *Guidance*. That is  
10 there will be no default background ozone value. We're  
11 recommending a maximum ambient NO<sub>2</sub> to NO<sub>x</sub> ratio of 0.9 for  
12 the Tier 3 options.

13           We're also recommending a default in-stack ratio  
14 of 0.5 for the primary source and nearby sources. However,  
15 for more distant sources we're recommending an in-stack ratio  
16 of 0.2. We do actually specify now in the reg text that  
17 PVMRM works better for relatively isolated and elevated point  
18 sources and OLM tends to work better for other source types.

19           With respect to the modifications to PVMRM that  
20 we've dubbed PVMRM2, the PVMRM2 uses absolute rather than  
21 relative dispersion coefficients under stable wind  
22 conditions. There are several modifications in PVMRM2 to the  
23 computation of the plume volume, and there are several  
24 additional miscellaneous bug fixes that are included in  
25 PVMRM2. Our proposal is to eventually replace PVMRM with

1 PVMRM2. However, in version 15181 we have both PVMRM and  
2 PVMRM2 to facilitate evaluations of the two different model  
3 codings.

4           We provide in our technical support document  
5 several evaluations of PVMRM and PVMRM2. The slide here  
6 provides an example from the Empire Abo gas plant in New  
7 Mexico which compares results from full conversion, PVMRM2--I  
8 actually can't see it on the computer here--PVMRM, and I  
9 think it's OLM Group all. And the slide here doesn't give  
10 very good detail. I again recommend that folks look at the  
11 technical support document that's provided on this for easier  
12 viewing.

13           The slides here do show if you can see that PVMRM2  
14 is the best performing of the options that are evaluated for  
15 this particular--these two particular monitors for this one  
16 particular source.

17           Finally, I'd like to emphasize what Tyler said  
18 earlier with respect to beta options in AERMOD, so the status  
19 of the Tier 2 and Tier 3 screening methods. All of the NO<sub>2</sub>  
20 options are defined as screening techniques. If Appendix W  
21 goes forward as proposed, then the NO<sub>2</sub> options will no longer  
22 be alternative models. They will not need approval by the  
23 regional office.

24           However, as screening methods, the reg text will  
25 specify that their use will occur in agreement with the

1 appropriate reviewing authority, and this is specified in  
2 Section 4.2.1(b) of the proposed version of Appendix W.

3           Additionally, because of the complexities of the  
4 Tier 3 options, applicants would need to consult with the EPA  
5 regional office in addition to the reviewing authority. This  
6 is specified in Section 4.2.3.4(e). And again, this is occur  
7 in agreement with the appropriate reviewing authority and  
8 consult the EPA regional office, and you will no longer need  
9 alternative model approval.

10           Again, though, this goes into effect with the  
11 final version of AERMOD to be released next year. At present  
12 ARM2, OLM, and PVMRM and PVMRM2 are still beta in version  
13 15181 and they do require regional office approval at this  
14 time. We released a Model Clearinghouse memo earlier in the  
15 month on the use of ARM2 and refer readers to that memo to  
16 get additional details on the use of ARM2 in regulatory  
17 application. That should be July 8th, I believe.

18           The relevant docket items for this are specified  
19 here. The docket items are both on regulations.gov and they  
20 can be obtained on the 11th Modeling Conference web site as  
21 well. And that concludes my slides for NO<sub>2</sub>, and it looks  
22 like I've yielded myself 11 and a half minutes.

23           Okay. Now I'm going to give details on the  
24 proposed replacement of CALINE3 with AERMOD in Appendix W.  
25 I'd like to first thank my workgroup, which consisted of

1 members of OAQPS, the Office of Transportation Air Quality,  
2 Office of Research and Development, and Region 5.

3           As the title of this slide suggests, we are  
4 proposing to replace CALINE3, CAL3QHC, and CAL3QHCR with  
5 AERMOD as the preferred Appendix A dispersion model for all  
6 mobile source modeling for inert pollutants.

7           This proposal is based on three elements: first,  
8 the AERMOD has updated dispersion model science relative to  
9 CALINE3; second, the model intercomparisons of AERMOD show  
10 that AERMOD outperforms CALINE3; and thirdly, that the  
11 adoption of AERMOD would provide a simplified implementation  
12 of mobile source modeling for Clean Air Act requirements.  
13 These updates are reflected in Sections 4.2.3 and 7.2.3 of  
14 the proposed Appendix W text.

15           To support the elements of the changes in model  
16 science I have some background on AERMOD and CALINE3.  
17 CALINE3 was developed in 1979. The dispersion model theory  
18 is based on P-G stability classes, and the baseline CALINE3  
19 model can actually only handle a single meteorological  
20 condition.

21           CAL3QHC was developed from CALINE3 for use in  
22 screening for mobile sources. It adds a queuing algorithm  
23 for emissions from intersections. And finally, CAL3QHCR was  
24 developed from CAL3QHC for refined analyses.

25           CAL3QHCR adds the ability to use one year of

1 meteorological data. It adds an hourly emissions variation,  
2 adds additional averaging periods for the additional met  
3 that's processed in the model. The met preprocessor that's  
4 available for CAL3QHCR is only available for very old  
5 meteorological data sets and has not been updated to use any  
6 of the newer one minute data.

7           The model developers replaced CALINE3 with CALINE4  
8 in 1984, so according to the model developers CALINE3 was  
9 outdated over 30 years ago.

10           Contrary to CALINE3, AERMOD was adopted in 2005  
11 with the 2005 revisions to Appendix W. It reflects state of  
12 the science dispersion model formulation, specifically the  
13 boundary layer scaling parameter is used to characterize  
14 stability and determine dispersion rates. Monin-Obukhof  
15 similarity profiling of winds are used near the surface.

16           And the main point here is that in adopting AERMOD  
17 in 2005 to replace ISC, one of the major technical advance-  
18 ments was to replace the P-G stability class dispersion  
19 that's used in both ISC and CALINE with these turbulence  
20 based dispersion rates consistent with PBL and M-O scaling  
21 and similarity profiling.

22           EPA has conducted several model performance  
23 evaluations and intercomparisons to determine the performance  
24 of AERMOD versus CALINE3 as well as several other models.  
25 These results were published in 2013 by Heist, et al. in

1 *Transportation Research D.*

2           These model findings were based on two field  
3 studies that used SF<sub>6</sub> tracers that were specifically designed  
4 for evaluation of mobile source modeling. These two field  
5 studies were the CALTRANS99 tracer experiment and the Idaho  
6 Falls barrier tracer experiment.

7           In the next couple of slides I give a very brief  
8 summary of some of these results from these model inter-  
9 comparisons. The slide on your left shows model statistics  
10 for the highest 25 concentrations from the models that were  
11 used in these model evaluations. These model runs consisted  
12 of the RLINE model, which is currently being developed by the  
13 Office of Research and Development; AERMOD using both area  
14 and volume sources; CALINE3 and CALINE4; and the UK's  
15 regulatory default model, ADMS.

16           The statistics slide shows the robust highest  
17 concentration versus the fractional bias. The best  
18 performing or even a perfect performing model would be at the  
19 center of the axis that's highlighted in green. The model  
20 statistics for CALTRANS show that AERMOD and RLINE have  
21 almost identical performance, and you can see CALINE has a  
22 tendency to overpredict by a factor of 2 and 3 depending on  
23 whether you're looking at CALINE3 or CALINE4.

24           On the right-hand side I have a Q-Q plot, which  
25 just makes it a little bit easier to see the model

1 performance of these different concentration levels. You can  
2 see the CALINE3 and the CALINE4 model results are extreme  
3 outliers on this plot, the other models doing fairly well,  
4 relatively close to the 1 to 1 line. But the model  
5 performance for CALINE3 and CALINE4 is not just limited to  
6 the top three or four concentrations. Its overestimate  
7 extends to about the top third of the distribution of data.

8           This slide shows the results from the Idaho Falls  
9 tracer study. The same set of slides are presented on this  
10 as the previous slide. On the left-hand side I've got the  
11 model statistics for the top 25 concentrations. On the  
12 right-hand side I have the Q-Q plot.

13           For this particular field study all of the models  
14 had a tendency to underpredict rather than to overpredict.  
15 The model statistics indicate that AERMOD and this time ADMS  
16 are almost identical and have the best model performance out  
17 of the three models. And this time CALINE has a tendency to  
18 underpredict.

19           And you may notice on this slide that I have  
20 CALINE4 and not CALINE3. For this particular field study we  
21 were not able to get CALINE3 to provide reasonable results.  
22 We had three or four different doctorates in engineering look  
23 at this model and try to get reasonable results and we could  
24 not get numbers that made sense to us. It may have been user  
25 error or it may have been a limitation of the model. But

1 because of our inability to understand what was going on with  
2 CALINE3, we excluded those results from this particular field  
3 study. However, we're using CALINE4 as a surrogate for  
4 CALINE3 under the assumption that CALINE4 would perform  
5 better than CALINE3.

6 For this field study you can see CALINE4 is the  
7 worst underpredictor. In the Q-Q plot you can see that  
8 CALINE4 underpredicts across almost the entire concentration  
9 distribution range.

10 The third basis for our proposal is that the EPA  
11 believes that the adoption of AERMOD will provide a stream-  
12 lined implementation for mobile sources. The Appendix W  
13 proposal will bring commonality and consistency in the model  
14 analyses that are performed for EPA regulatory applications.

15 Specifically, AERMOD is already preferred for PM<sub>2.5</sub>  
16 and PM<sub>10</sub> conformity analyses. The adoption of AERMOD would  
17 bring one model choice rather than four different model  
18 choices for modeling mobile sources, so it would make the  
19 selection of model more simple. AERMOD has additional  
20 options for source characterization, computation of design  
21 value, and is able to use more updated and refined  
22 meteorological inputs.

23 Finally, I'd like to point out that FAA already  
24 uses AERMOD in their EDMS and AEDT model. They moved away  
25 from the CALINE3 model in 2005 when EPA promulgated AERMOD as

1 the preferred dispersion model. So the DOT has already  
2 adopted AERMOD over CALINE3 in the past.

3 Finally, I'd like to just point out that EPA fully  
4 supports AERMOD with continued development and updates to  
5 meet regulatory needs and issues, and that would include  
6 updates that are needed to facilitate mobile source modeling  
7 in the future.

8 I'd finally like to highlight EPA's transition  
9 plans under the proposed rulemaking. EPA is taking comment  
10 on the transition period from CALINE3 to AERMOD in the  
11 proposed rulemaking. We are currently proposing a one year  
12 transition period for the adoption of AERMOD over CALINE3.  
13 That means it would be slightly less than two years from now  
14 until applicants would be required to use AERMOD in place of  
15 CALINE3. Again, we're taking comment on this transition  
16 period.

17 Additionally, I'd just like to provide a note that  
18 EPA plans to provide training and already has a number of  
19 training courses in place. We will provide a training  
20 package with examples for using AERMOD over CAL3QHC for CO  
21 screening analyses. We'll provide webinars and trainings for  
22 stakeholders as needed.

23 And as I mentioned, EPA already has several  
24 trainings that are available, specifically the Air Pollution  
25 Training Institute course number 423, Air Pollution

1 Dispersion Models, which outlines the use of AERMOD for  
2 regulatory analyses. And the Office of Transportation Air  
3 Quality already has training in place for project level hot  
4 spot analyses.

5           Again, the technical details are provided in the  
6 technical support document. These are available from  
7 regulations.gov as well as the 11th Modeling Conference web  
8 site. Thank you.

9           Mr. Bridgers:           And just so I don't get one of  
10 our transcriptionists in trouble, I was actually trying to  
11 get Chris to slow down because I normally have the problem  
12 with trying to get people to stop talking. I needed to--I  
13 should do my whole TV thing. It's like stretch it out  
14 (indicating).

15           So we are running a bit ahead of schedule, and I  
16 am going to afford a little bit longer break just because of  
17 that. But I wanted to make two notes. Chris in that last  
18 set of slides had said that there would be a one year  
19 transition period with respect to this replacement of CALINE.  
20 That's broadly applicable with respect to the transition once  
21 we get to 2016 and the promulgation of whatever form of  
22 AERMOD we have after we go through the comment and  
23 rulemaking.

24           I'm going to put some filler in here if the--oh,  
25 it died. Well, I'm still going to put some filler in here.

1 You guys can watch a real quick demonstration. In the  
2 previous presentation Chris mentioned that we had just issued  
3 a clearinghouse memorandum with respect to ARM2. And I'll  
4 speak to this a little bit more in the clearinghouse  
5 presentation, but in this particular case this is an avenue  
6 to which we can bring beta options to the forefront and use  
7 them currently, whether proposed or not.

8 Now, you can see how I get to SCRAM. I don't know  
9 the EPA web address right off the top of my head. I should.  
10 So I Google it. And it's going to get me to scram001, which  
11 I know. But I did want to real quickly, because I won't have  
12 this time after the break--so I'm on the guidance and  
13 support. It's buried.

14 I will also mention that we are on the precipice  
15 of revising the entire web structure of the EPA web site, and  
16 so here in probably a year's time there will not be a SCRAM  
17 web site because we understand that that is not necessarily  
18 sensitive to the external community.

19 There seems to be some idea that we're telling  
20 people to go away when we say SCRAM, so it--even though it's  
21 a very technical web site, we are going to have to make it  
22 such that the third grade audience can come in and feel good  
23 about their experience. So there will probably be some  
24 cutesy pictures and I'm sure we'll have to come up with an  
25 icon for AERMOD or whatever Appendix A models we have.

1                   Male Voice:            We can keep the name. We just  
2 have to change the format.

3                   Mr. Bridgers:            We have to change the format;  
4 right. So I'm going into MCHISRS, and I know some of you  
5 loathe this, but I just wanted to point out--and I haven't  
6 sent out the e-mail. It will come out in the next couple of  
7 days. I just haven't had time. I'm just going in and  
8 searching on Region 2 because Chris said it was a Region 2  
9 memo, and I found 145 records. I'm going to go to the end  
10 because it always sorts from the '80s. And see, here it is.

11                   Voices:                    No, we don't see it. We can't  
12 see it.

13                   Mr. Bridgers:            You can't see it. Oh, no.  
14 Okay. Well, let me start over again. See, this is a great  
15 way for filling time. Now, let me see. I don't even know  
16 how to get the screen back. Oh, okay. Well, we'll go  
17 through my whole process again. I get three more minutes.

18                   So here's the web browser, yay. And it probably  
19 has--yeah, here we go. It probably already has it in there.  
20 Now I can't see it, so I'm going to have to look over here,  
21 and now it doesn't work. So this also proves this is not  
22 centric to Internet Explorer, but MCHISRS is under Model  
23 Guidance and Support, the Clearinghouse and MCHISRS. One  
24 part of the web redesign is things will probably be a lot  
25 more logically laid out and easier to find.

1           So I'm just going into MCHISRS, and there's a lot  
2 of options here, but one of them is for EPA region or state.  
3 And so I know that it's involving Region 2, so I'm going to  
4 click Search. It happens to find 145 records, and as I said,  
5 they start, you know, from a chronological order, and I'm  
6 just going to go to the end.

7           And as we have indicated, it seems like there was  
8 a lot of activity in the '80s and '90s and then things kind  
9 of fell off, and so from the late '90s to 2015 there's a big  
10 gap. Things were just perfect in the modeling world.

11           So anyway, here's the actual record in MCHISRS.  
12 There's a brief summary. So that we have the date straight,  
13 it's July 16th. And I will point out--I've got a lot of ums  
14 in my statements today, but I will point out the request came  
15 in on the 18th, the reply went out on the 16th, and this was  
16 in the middle of a proposed rulemaking.

17           So I know there's a lot of built-up pent energy  
18 that things take a very long time in the Clearinghouse, but  
19 here's one that we had a lot of other things going on and we  
20 did drop some things, but we got this out in about a month's  
21 time. We've got another couple that are in process and we're  
22 going to be following up as soon as we get through with the  
23 modeling conference here.

24           But anyway, here's the signed response back. And  
25 so this can be the basis for future ARM2 usage, assuming--

1 what's that?

2 Mr. Fox: In the interim.

3 Mr. Bridgers: In the interim--assuming that  
4 you meet the requirements in the memorandum that we put out  
5 on ARM2 and are broadly applicable to the justification that  
6 was here. So there's a path forward. Now, we talked about  
7 this in previous conferences that the bar is much lower,  
8 significantly lower now with ARM2 than it has been in the  
9 past, because there's a road map people can follow.

10 And to Tyler's point here, it's also that we've  
11 done a lot of work and there's a lot of things put forth in  
12 the proposed rulemaking that can also be used as a part of  
13 the justification for future ARM2 use.

14 So ADJ\_U\*, we've got something on the precipice.  
15 We hope to be moving forward with the Clearinghouse action.  
16 We're hoping through that action lowering the bar. But  
17 anybody that desires the use of the beta option in AERMET of  
18 ADJ\_U\* right now, there's a lot of pieces of the puzzle that  
19 are on the 11th Conference or in the docket to this  
20 rulemaking, and it's there. And so that's--I just want to  
21 reinforce that.

22 So we have reached 10 o'clock. We're running ten  
23 minutes ahead of schedule. Why don't we split the  
24 difference? I know the schedule says that we go until 10:30.  
25 Why don't we split the difference and come back at 10:25?

1 That gives us--or do you want to go 10:20?

2 Mr. Wayland: Go to 10:20 and give a longer  
3 lunch in case---

4 Mr. Bridgers: (interposing) Yeah, let's do--  
5 okay, yeah, let's do that. I like Chet's suggestion. Let's  
6 go to 10:20. That gives us 20 minutes for the break and what  
7 we'll do is on the back end if we have extra time we'll just  
8 take a longer lunch, and I think that's what people enjoy.  
9 So I will suspend now for 20 minutes. Please be back at  
10 10:20.

11 (A recess was taken from 10:03 a.m. to 10:20 a.m.)

12 Mr. Bridgers: So we'll start the second  
13 morning session now, and we'll start right off with another  
14 presentation by James Thurman with Chris Misenis somewhere in  
15 the room, and this is focused on aspects of Section 8 and  
16 meteorological data.

17 Dr. Thurman: Okay. So I'm going to talk  
18 about meteorological data for the dispersion models. These  
19 are the members of the workgroup. Myself and Chris were  
20 co-leads, or as I like to say, Chris is the assistant to the  
21 co-lead. He's Dwight Schrute to my Michael Scott. Members  
22 from OAQPS and the regional offices, and just some  
23 acknowledgements: Kali Frost of Indiana provided the Gibson  
24 AERMOD inputs and meteorological observed data for our  
25 evaluations. Missouri DNR and Andy Hawkins of Region 7 ran

1 Herculaneum AERMOD and MMIF, and then Andy and Kirk Baker  
2 from OAQPS and Roger for the Martins Creek WRF/MMIF output.

3           Then Rebecca Matichuk from Region 8 did the  
4 meteorological analysis of the Region 8 sites. That's  
5 Appendix B in the TSD. And I also want to acknowledge Bart  
6 Brashers of Environ for all his work on the MMIF. He's done  
7 a lot of work on MMIF and been a great help.

8           So Section 8.4 discusses the meteorological data  
9 for dispersion models. There's two aspects: observed data  
10 and the prognostic data. On the observed data side, the main  
11 focus was on the introduction of AERMET into Appendix W.

12           As you know, we introduced AERMINUTE in 2011, and  
13 it calculates hourly averages of the winds from the 2 minute  
14 winds for ASOS stations. And in 2013 we issued a memo  
15 regarding the use of ASOS data and AERMINUTE in AERMOD, and  
16 you can see the link under that sub-bullet. And our  
17 recommendation is that it should be routinely used when  
18 available.

19           There are some data gaps we found out in 2013  
20 through Region 5 and AECOM, and it's a pretty substantial  
21 gap, so we're actually doing an update to AERMINUTE to bring  
22 in the five minute wind data to substitute missing hours, and  
23 we hope to have that out by October.

24           From the prognostic side, we're proposing that if  
25 you don't have a representative NWS station, National Weather

1 Service station, and it's infeasible to collect site specific  
2 data, you can use prognostic data. We're saying no--  
3 recommending no--or proposing no fewer than three years of  
4 data.

5           We developed the MMIF program to read the  
6 prognostic data, such as WRF data, for input into AERMET and  
7 AERMOD as well as other dispersion models, and MMIF is the  
8 outcome of BARF, the Bret Anderson ReFormatter, so if you  
9 BARF you get MMIF.

10           So we also issued guidance for the use of  
11 prognostic met data. Here are some highlights of that  
12 guidance. The number of years is a minimum of three years.  
13 For developing the meteorological fields, i.e. run in WRF,  
14 you would follow the Ozone, PM<sub>2.5</sub>, and Regional Haze Modeling  
15 Guidance that was updated in December 2014. I think that's  
16 the Brian Timin guidance.

17           Our guidance also describes some evaluation  
18 procedures, and you can see the link to that in the last  
19 bullet, and you can also see the link at the very bottom for  
20 the Ozone, PM<sub>2.5</sub>, and Regional Haze Guidance.

21           More details on our guidance: we get guidance on  
22 running MMIF for AERMOD. For regulatory applications you  
23 should run MMIF to generate AERMET inputs. That's because  
24 AERMET is the regulatory meteorological preprocessor for  
25 AERMOD and it also allows you to take advantage of options in

1 AERMET such as the u\* adjustment and the upper air selection  
2 time. If you're doing a nonregulatory application, you can  
3 run MMIF to AERMET or go straight from MMIF to AERMOD to  
4 generate the profile and surface file that go into AERMOD.

5 We also offer guidance on the grid resolution of  
6 your WRF or prognostic run. That would depend on the  
7 location, you know, the complex terrain or complex meteorological  
8 situations.

9 Guidance on the representative grid cell, you  
10 would run through MMIF for your application. For most cases,  
11 this would be the grid cell that contains the facility of  
12 interest, and if it's something like a SIP that could cover  
13 multiple grid cells, it would be a grid cell that's  
14 representative of the whole domain. We also have other  
15 recommendations in the guidance on postprocessing MMIF  
16 outputs for AERMET and AERMOD.

17 We did some evaluations. Three case studies  
18 represented here are the Gibson, Indiana SO<sub>2</sub> study that  
19 Indiana had done a paper on; also Martins Creek,  
20 Pennsylvania, which is one of the AERMOD databases; and  
21 Region 7 did Herculaneum, Missouri, which is a lead--the Doe  
22 Run facility.

23 We did some evaluations of the met data and we  
24 also did the AERMOD evaluations using the EPA protocol for  
25 determining best performing model or the Cox-Tikvart

1 protocol, and you can see the link to our TSD at the bottom.  
2 Here's a map of the three areas. And just to note, all  
3 these--none of these case studies used 15181. It wasn't  
4 available at the time of the studies.

5           Here's the Gibson study area. It's southwest  
6 Indiana. You see the two grid cells from WRF that contain  
7 the facility, Gibson, and Evansville, the closest NWS station  
8 used in the modeling.

9           This is a comparison of AERMOD output for the  
10 different model runs. This is the model comparison measure,  
11 which compares the composite performance metric of each of  
12 the model simulations. Basically here, like Roger said  
13 earlier, if you overlap zero, you know, statistically not  
14 different.

15           And as you can see highlighted in the red box,  
16 Gib MMIF, which is the MMIF output for the Gibson facility  
17 versus the observed data for Gibson, we've got very good  
18 agreement, almost a zero model composite metric, so that  
19 statistically they're not different. And actually all  
20 scenarios are not statistically different, so that was very  
21 encouraging. I could just drop the mic and walk offstage  
22 now, but I won't.

23           The next one is Martins Creek. Here's a map of  
24 the study area near the New Jersey-Pennsylvania border. You  
25 can see ABE, the Allentown weather service station as well to

1 the west.

2           Martins Creek, not as good performance as Gibson--  
3 you know, complex terrain; we had 4 kilometer and 1 kilometer  
4 grid cells to pick from as well as observe met data from the  
5 site and the weather station that you can see. The 4  
6 kilometer grid cell almost was statistically not different  
7 from Martins Creek observed data at the 95th percentile. If  
8 we had gone to the 99th, it wouldn't have probably been  
9 statistically different.

10           Also the 1 kilometers, you know, didn't perform as  
11 well, but were not that bad compared to the weather service  
12 station, which one of the goals of the evaluation was we  
13 would hope MMIF was no worse than using National Weather  
14 Service data. So I mean Martins Creek is not as good as  
15 Gibson but still, you know, not that bad.

16           Finally, the Herculaneum study area: we had 4  
17 kilometer, 12 kilometer, and 36 kilometer MMIF output as well  
18 as on-site data at Herculaneum and the St. Louis airport off  
19 to the northeast. And we couldn't do the detailed  
20 statistical analysis for Herculaneum because these are lead  
21 monitors, so they only had 24 hour data.

22           So we did a screening analysis in the Cox-Tikvart  
23 protocol, where you take the top 25 concentrations and  
24 calculate their mean bias and the standard deviation and plot  
25 them against each other. And this small square you see in

1 the plot is the factor of 2 box, and usually if you're inside  
2 that box you can continue with doing a detailed statistical  
3 test on the one hour, 24 hour, and three hour averages, but  
4 we didn't have one hour and three hour, so we stuck with 24  
5 hour. If you're outside of that box usually the protocol  
6 recommends no more analysis because the data already has some  
7 credibility issues.

8           So we're really not performing--we're outside the  
9 factor of 2 box and we're underpredicting. If your bias is  
10 positive, that means that the model is underpredicting  
11 because the obs are higher. While it's outside the factor of  
12 2 box, if you notice the two--the MMIF runs, the green, blue  
13 and purple, are fairly comparable to the Herculaneum on-site  
14 data.

15           Actually the airport data is doing better, but  
16 there could be some emission issues. You know, they may not  
17 be capturing all the emissions. This is, you know, a  
18 smelter, so there may be some fugitives that may not be  
19 characterized well.

20           So in summary, the Gibson data was pretty good,  
21 you know, statistically not different. Martins Creek did  
22 show some difference, but not too bad. And Herculaneum  
23 indicated prognostic data performance was comparable to site  
24 specific, while not great, but still was comparable. So, you  
25 know, more work needs to be done. We anticipate comments on

1 the use of prognostic data.

2           And then finally, here are the links to the draft  
3 guidance on MMIF and our TSD. And that's it for this  
4 presentation.

5           Mr. Bridgers:           Thank you, Dr. Thurman. I'm  
6 going to give Tyler an extra few minutes because I know he'll  
7 need it. While we're transitioning, I would also like to  
8 remind everybody--I think I might need to do this after every  
9 break; maybe I should do it before every break--is just to  
10 remind everybody that EPA employees will not be able to  
11 answer specific questions about the proposal, so if you ask  
12 one of us other than Tyler, Chet, or myself and you get the  
13 blank stare and then you can see the wheels spinning as to  
14 what they can say, probably they shouldn't say anything.

15           Mr. Fox:           Or they run away.

16           Mr. Bridgers:       Or they run away. So that's  
17 just a friendly reminder. They're not trying to be rude.  
18 They're just trying to respect the rulemaking process.

19           Mr. Fox:           Thank you. All right. Well,  
20 I'm going to address the issues related to long range  
21 transport assessments and what we're proposing in the updates  
22 to Appendix W.

23           Jumping right in with background, as you all are  
24 aware in 2003 we revised the *Guideline* to formally recommend  
25 and bring in CALPUFF as the preferred model for long range

1 transport, meaning source receptor distances of 50 kilometers  
2 to several hundred kilometers for primary criteria  
3 pollutants.

4           It was intended and in practice used to address  
5 PSD increment and in particular Class I assessments, and  
6 therefore quite a bit of interaction with the federal land  
7 managers, who under FLAG and in doing AQRV analysis would use  
8 CALPUFF as well. So there were some joint efforts going on  
9 there.

10           There's also some then issues that resulted in  
11 that in terms of the FLMs having the ability under AQRV to be  
12 more flexible in the specification of the CALPUFF model  
13 vis-à-vis how EPA proposed it and promulgated it for a  
14 particular use for PSD increment.

15           So right now under the current guideline, it's the  
16 preferred model for long range transport. Also, as  
17 referenced in Appendix A, CALPUFF can also be considered on a  
18 case by case basis as an alternative model, again, subject to  
19 approval under Section 3.2, that process that we mentioned  
20 earlier, for near-field applications where complex winds or  
21 terrain warrant the use of a puff model.

22           So the *Guideline* acknowledged that in Appendix A  
23 that the model could be used, again, following the appro-  
24 priate processes to get approval as an alternative model, and  
25 that would have to be shown as of 2005 vis-à-vis the

1 preferred model in those instances, which would be AERMOD.

2           And we've got I think a number of examples. One  
3 is the New Jersey 126 situation where there was a comparison  
4 made and I think is a very appropriate comparison to look at  
5 how we went about comparing those two models and then  
6 ultimately determining in that situation that there was not a  
7 sufficient difference and given the application that AERMOD  
8 was appropriate in that use. And the agency went forward in  
9 that 126 action with AERMOD as the basis for the demon-  
10 stration of a violation and for the consideration of controls  
11 in that case for the Portland generating station.

12           So what are we doing in the proposed revisions to  
13 the *Guideline*? Well, in Section 4 we are proposing to remove  
14 CALPUFF as a preferred a model for long range transport, and  
15 rather we're recommending that it be used as a screening--  
16 excuse me, screening technique; it gets me choked up--a  
17 screening technique along with other Lagrangian models for  
18 addressing PSD increment in those situations beyond 50  
19 kilometers.

20           And so we're no longer providing it preferred  
21 status. We're using it in a screening technique that, as  
22 I'll describe, we think is more appropriate given the  
23 situation for use in the context of PSD increment, and it  
24 opens the field for other Lagrangian models to be used.  
25 There are other models, SCIPUFF and other things. So again,

1 it provides more flexibility for the community to use those  
2 models as appropriate.

3           As I mentioned earlier, we've also--given the work  
4 that James and Chris Owen did, we conducted an analysis--I  
5 don't have the TSD link, but there's a technical support  
6 document that is referenced that demonstrates the analyses  
7 done based on the AERMOD Implementation Workgroup scenarios  
8 that we feel and we've stated that near-field modeling is  
9 sufficient to address whether a source will cause or  
10 contribute to a NAAQS violation, so EPA is not considering a  
11 long range transport assessment beyond 50 kilometers  
12 necessary for inert pollutants. So for NAAQS you're dealing  
13 with a near-field situation, you're applying AERMOD or an  
14 appropriately approved alternative model, and that's  
15 sufficient.

16           Again, under the current revisions CALPUFF or any  
17 other Lagrangian model could still be available for us in the  
18 near field as an alternative model subject to approval, so  
19 there's no change in the status of the model in that context  
20 other than not specifically pointing it out. And I will  
21 notice for folks, we don't point out any models in Section 5  
22 or Section 6. I mean CMAQ, CAM<sub>x</sub>, other models--we're  
23 purposely not trying to specify models unless they are a  
24 preferred model so that there's no inference made about those  
25 models.

1           We recognize that there's going to be evolution.  
2 There's going to be changes in those models. There's going  
3 to be changes in other models in terms of their availability.  
4 And so we've reserved that for guidance and the like, but  
5 Appendix W itself does not infer any preference at all in  
6 terms of acknowledging those types of models.

7           And so what do you mean, Tyler, by screening  
8 approach for PSD increment? Well, Section 4 lays that out  
9 explicitly. We, again, recognize that long range transport  
10 assessments may be necessary in limited situations. We've  
11 engaged with the regional offices--Region 4, Stan Krivo;  
12 Region 6, Eric Snyder among others--to understand what their  
13 experiences have been over the past ten plus years.

14           And again, as I said earlier, going down the road  
15 to doing a Class I PSD increment analysis, my understanding  
16 is that you can count them on one hand, so we're talking  
17 about a very limited situation. And so having a screening  
18 approach was deemed both appropriate and necessary in these  
19 revisions.

20           So the first step would be for your near-field  
21 application of the appropriate model--as I said, AERMOD or an  
22 alternative model, based on approval--you would determine the  
23 level of significance of those ambient impacts from your new  
24 or modifying source at or around 50 kilometers. You'd have a  
25 circle of receptors that would tell you that. Again, the

1 experience will tell you that the vast majority of situations  
2 will screen out at that point in time.

3           If you don't screen out in that instance, then the  
4 second step would be in consultation with the regional office  
5 you determine the appropriate screening approach using  
6 CALPUFF or any other Lagrangian puff model to determine the  
7 significance at specific Class I areas of concern.

8           You're dealing with a specific new or modifying  
9 source. You know those Class I areas that are within a  
10 reasonable transport distance, and you can look to those  
11 specific receptors to determine what the significance levels  
12 are in those cases. Again, the vast majority of situations  
13 are expected to screen out--if they even get to that second  
14 step, to screen out at that time.

15           If they don't screen out, then for those limited  
16 situations you would have to conduct a cumulative impact  
17 analysis, and I think memory didn't serve any of us well in  
18 terms of being able to point to a situation where that  
19 actually had occurred, so if there's public comment to  
20 address and remind us of that, that would be appreciated.  
21 And then the selection and use of a model would be determined  
22 through approval under Section 3.2.2(e), alternative model.

23           So that lays out the screening approach--again,  
24 streamlining the approach in terms of what models you have to  
25 use, having them, you know, and the approach be warranted to

1 the nature of the problem. And so we feel as if it was  
2 appropriate to offer this flexibility and to reduce the  
3 burden on the user community.

4           Then in Section 5 in terms of addressing secondary  
5 pollutant impacts we feel that by not specifying a preferred  
6 model we actually provide a lot of flexibility to the user  
7 community in estimating these single source secondary  
8 pollutant impacts with more appropriate modeling techniques.  
9 We stress the full chemistry photochemical models in the  
10 preamble, and a number of those do address science issues of  
11 Lagrangian models and in particular CALPUFF, and I'll note  
12 some of those in the next slide.

13           And based on the IWAQM, Interagency Workgroup of  
14 Air Quality Modeling, the Phase 3 effort, there are reports  
15 as well as published literature that support our decisions.  
16 And we've placed the emphasis on use of those chemical  
17 transport models or techniques that reflect the state of the  
18 science in atmospheric chemistry so that we're applying the  
19 best science in those situations.

20           And again, we've got guidance. Kirk Baker and Jim  
21 Kelly put together a detailed guidance to support Section 5  
22 for ozone and secondary PM<sub>2.5</sub>, and we will reply upon the  
23 regional offices and others and the community at large as  
24 these models are there and developed and techniques within  
25 those models are improved upon to allow them for use here,

1 tools like source apportionment, other instrumented  
2 techniques, and Kirk will get into that in more detail  
3 shortly.

4           Then the preamble discusses in the section for  
5 long range transport future considerations for visibility  
6 modeling with full chemistry photochemical models. We're  
7 limited in our ability to do evaluations with respect to  
8 visibility, and so we'll be working very closely, have been  
9 working very closely through the three phases of IWAQM with  
10 our federal partners.

11           And we feel as if--and as described in the  
12 preamble that consistent with what we're doing for ozone and  
13 secondary PM<sub>2.5</sub> under PSD that as these techniques are used  
14 and improved that their application for AQRV analysis for  
15 visibility and perhaps even in the regional haze context  
16 would not only provide improved science, but harmony and  
17 consistency with the models used in other aspects of the  
18 Clean Air Act programs.

19           And so it reduces the number of models you're  
20 carrying around. It reduces decisions and flexibilities of  
21 determination of what knowledge to work with those models and  
22 starts focusing us on best science and allows the community  
23 to then focus on developments and research and the like  
24 there.

25           And I think that's evidenced through work that

1 EPRI has done with SCICHEM from SCIPUFF and the bay releases  
2 that they've done and we'll hear later in the public comment  
3 about. And so I think there's the community there to develop  
4 and improve these models, and we've provided the--I think the  
5 impetus to continue that development and leverage the  
6 development that's gone on to establish what we've done in  
7 Section 5.

8           So I mentioned the limitations, and so this was  
9 documented in EPA's 2009 reassessment, and there was a  
10 modification through a memo to the docket to add conclusory  
11 or summary statements, and this is part of that.

12           The chemical conversion algorithms in the  
13 regulatory versions are quite old, and they're pretty  
14 inconsistent with our current knowledge and state of the  
15 science in terms of secondary PM<sub>2.5</sub> formation.

16           And even the more recent chemistry algorithms  
17 still don't contain photochemical reactions that are  
18 important to simulate secondary PM formation. They're not  
19 the type of full chemistry model that we feel is necessary  
20 and appropriate.

21           And it does not estimate ozone formation from  
22 single sources, which is something that now under Section 5  
23 and Appendix W and through guidance we are looking for and  
24 expecting.

25           So--and then in a wide variety of situations where

1 we've tested and evaluated the model, there's just a lot of  
2 variation in terms of an unexplained and very difficult to  
3 comprehend and understand sensitivity of the dispersion model  
4 with the CALMET meteorological input that necessitated  
5 putting a preset to CALMET by EPA in conjunction with the  
6 FLMs to try and make it a more manageable process and  
7 understand and provide more credibility in the modeling  
8 results.

9           And so it's just been a challenge for us dealing  
10 with this model over the past ten years, and unfortunately  
11 the community has not come together as was expected to really  
12 work on those types of developments, broadly speaking.

13           And to that point we also issued a memo related to  
14 concerns about the management and maintenance of the model.  
15 The interactions between EPA and the model developer have  
16 been complicated by the changes in ownership and the  
17 uncertainty of the development process. That's just a fact.  
18 We're not trying to say anything that is anything other than  
19 just a fact of our experience and our observations.

20           And as EPA and as being responsible for a  
21 preferred model in Appendix W, it becomes an obligation on  
22 the federal government, and we have memos and other things  
23 that are in the docket establishing that relationship, and it  
24 has just been difficult to adhere to those in a very  
25 transparent and open manner. One example is the process that

1 we went through in updating the VISTAS version of CALPUFF,  
2 and that was discussed and summarized in detail at the 9th  
3 Modeling Conference.

4           There have been a number of updates to the CALPUFF  
5 modeling system just as there have been a number of updates  
6 to AERMOD in terms of the regulatory version. It's just that  
7 process has been a little hit or miss in terms of under-  
8 standing and knowing what's coming and communication to both  
9 EPA and the broader community in terms of those things.

10           And there's been the parallel development process  
11 with the series 6 versions, which has just caused a lag in  
12 our ability to adequately understand, to review, and  
13 ultimately approve changes in a timely fashion. And it's  
14 largely due to a lack of an open development process.

15           And then we recently in the latter part of June  
16 were hit with from the current owner of CALPUFF a version 7  
17 version of the model with no prior notice in the middle of  
18 this rulemaking, and again, it makes it very difficult, very  
19 awkward for the agency to proceed with what it needs to with  
20 that type of process. So we do believe that it's been unduly  
21 complicated by these changes, and it's already a complex  
22 model, a complex world to apply it in.

23           And so it--when we're talking about a preferred  
24 model that has status and that the EPA has ownership  
25 obligations if deemed necessary, one option is to take the

1 model under our own roof. We've got difficulty enough  
2 maintaining AERMOD and other models and adequately staffing  
3 and supporting the regions in the permit arena, so that would  
4 be a totally unfeasible option for us to do.

5           And again, as I said, there are other models out  
6 there. We've got a screening approach that adequately meets  
7 the regulatory needs, and so from the standpoint of moving  
8 forward we feel as if the changes that we're proposing are  
9 not just warranted but in everybody's best interest.

10           And in terms of the Regional Haze Program, we did  
11 issue a 2005 guideline separately for the BART requirements  
12 under Regional Haze Rule, and that did recommend at the time  
13 because there really was no other model capable--at that  
14 point in time photochemical models had not been really--they  
15 had been some--some had been instrumented with these types of  
16 instrumented techniques, but they really hadn't been fully  
17 evaluated and understood and put into practice.

18           So CALPUFF was available for single source assess-  
19 ments. Again, in that process we acknowledge the lack of  
20 full evaluation, but it did provide information in a  
21 multifactor decision making process under BART. Again, it  
22 wasn't the sole determination of things as it would be under  
23 a preferred model situation in terms of whether or not you  
24 are complying. It was a factor in a multifactor decision  
25 framework, and so we felt comfortable in that context.

1           And in that we also did allow states the ability  
2 to use alternative models, and some did use photochemical  
3 models and have used photochemical models. The EPA itself  
4 has used photochemical models in this context in consultation  
5 with the EPA regional offices. So I think as the science has  
6 evolved the process is flexible and fluid enough to bring  
7 those in so that the best science is used in this context.

8           That said, the proposed changes do not affect the  
9 recommendation from 2005 and past and current BART  
10 applications of that model, and so adhering to Appendix W and  
11 going through the appropriate process as folks have is still  
12 in place, and we do not--we want to make sure that everybody  
13 knows that we do not feel that any of the changes that we're  
14 proposing which need to move us forward should be retro-  
15 actively looked at in terms of these things.

16           We don't do that in any situation, you know. We  
17 don't go back and reevaluate permits, you know, that were  
18 done with older versions of the model. There's a reason.  
19 You have to respect that, but yet you have to also respect  
20 the evolution of the science and the better science because  
21 that will always change and evolve.

22           So in summary, just to close, so we're proposing  
23 to remove CALPUFF as a preferred model in Appendix A  
24 specifically for long range transport, and we're recommending  
25 that it be used instead as a screening technique along with

1 other Lagrangian models for assessing PSD increment beyond 50  
2 kilometers.

3           For NAAQS demonstrations based on the analyses  
4 that we've done, and we welcome comment and new other source  
5 sector scenarios that can be fully evaluated to support our  
6 determination or question it, however the case may be, that  
7 you would not conduct a NAAQS analysis outside of 50  
8 kilometers for inert pollutants.

9           There's no change in the ability to use CALPUFF,  
10 again, or any other Lagrangian model, or other Gaussian model  
11 for that case, in the near field as an alternative model for  
12 low wind, low terrain, and other specific situations in which  
13 AERMOD, the preferred model, isn't working or beta options  
14 available in AERMOD are not working. You have that alterna-  
15 tive model approach available, and that flexibility has  
16 always been there and we continue that.

17           And along the line of flexibility, the user  
18 community has that in estimating single source secondary  
19 impacts, and we will continue to evolve. We've in Appendix W  
20 provided a broad framework, an appropriate framework, that we  
21 feel meets the requirements under the Sierra Club petition in  
22 terms of establishing models and/or techniques with reason-  
23 able particularity.

24           We've done that in Appendix W with subsequent  
25 guidance that supports that and that that allows for the

1 appropriate use of chemical transport models, and in some  
2 cases Lagrangian puff models may be appropriate to use in  
3 that context, and we provide the appropriate context for  
4 those used.

5           So again, we're opening the field up. We're  
6 allowing flexibility in the user community to appropriately  
7 address the problems that they have, and we, again, have a  
8 framework and a process by which it can happen and it can be  
9 effectively communicated in a transparent way.

10           And as we update the *Guideline*, you know, we  
11 hopefully don't have another decade go by, and I doubt we  
12 will be able to let another decade go by, given the advances  
13 and the need to continue to refine the *Guideline*, to continue  
14 to refine the models. We'll certainly be continuing to  
15 evolve what's in Appendix W, what's in the guidance, and our  
16 preferred models to respect that. So I think that is it.  
17 Thank you.

18           Mr. Bridgers:           Thank you, Tyler. So we're  
19 getting back on schedule, if there's a schedule we must keep.  
20 We'll transition from the discussion that Tyler just gave on  
21 long range transport and CALPUFF to a presentation from Kirk  
22 Baker, et al. about the treatment of PM<sub>2.5</sub> and ozone in PSD  
23 compliance demonstrations.

24           Dr. Baker:           All right. Thanks, George.  
25 The first thing I want to do is apologize to the rest of my

1 group for not wearing a tie, so I guess we'll keep this a  
2 little more informal in this talk.

3           So secondary pollutants for single source impacts,  
4 I'm going to talk a little bit about that today. As Tyler  
5 mentioned, EPA granted a Sierra Club petition in January 2012  
6 with a commitment to update the *Guideline on Air Quality*  
7 *Models* to address ozone and secondary PM<sub>2.5</sub> impacts. The  
8 current version of the *Guideline on Air Quality Models* has  
9 very little information about how one would go about  
10 estimating the impacts from single sources for ozone and  
11 secondary PM<sub>2.5</sub>.

12           So in response to that petition we now have an  
13 entire new chapter in the *Guideline*, Chapter 5, that's  
14 focused totally on secondarily formed pollutants speaking to  
15 ozone and PM<sub>2.5</sub>, and we have a Chapter 6 that's focused on  
16 visibility, deposition, and air quality related values.

17           It's similar to the older Chapter 6. It retains  
18 some of those elements, but if people remember the old  
19 Chapter 6 it was kind of a hodgepodge of a lot of incongruous  
20 information, so now it's just totally focused on air quality  
21 related values and other governmental programs.

22           The intent that we had in going through and making  
23 these updates to Appendix W is that the updates we would make  
24 would be an appropriate level of detail that is going to be  
25 relevant over the long term and put the more dynamic

1 information that would be reflecting the current practice of  
2 model application into guidance documents, which are going to  
3 be more dynamic and could be more fluid and updated to  
4 reflect the state of the practice going forward so we don't  
5 always need to go back to rulemaking to update the *Guideline*  
6 when new things come about.

7           So the process for updating Appendix W for the  
8 secondary pollutants, the Interagency Workgroup on Air  
9 Quality Modeling, IWAQM, has been a process that has  
10 historically been used for collaboratively updating regula-  
11 tory air quality modeling approaches.

12           So we reinitiated the IWAQM process and called it  
13 Phase 3 in July of 2013 so we had a mechanism for working  
14 collaboratively with our EPA regional office partners and  
15 partners at the other federal agencies to update the Appendix  
16 W, update or develop new guidance documents where necessary.

17           So the goal with this process was to just start to  
18 understand and identify credible modeling techniques for  
19 single source secondary impacts for ozone and PM<sub>2.5</sub>. This  
20 type of work had been done in the past but not an enormous  
21 amount of work, so in a lot of ways we were starting with  
22 kind of a clean slate, especially on the ozone side, and just  
23 trying to understand what types of tools are appropriate for  
24 this, and if someone were going to use these types of tools,  
25 how best should they be applying them for this type of

1 purpose. A lot of these tools have been used for other  
2 purposes and we just wanted to make sure that when used for a  
3 permit type application that they would be used in the most  
4 appropriate way possible.

5           So in Phase 3 IWAQM consisted of two different  
6 working groups. There was a near-field impacts working group  
7 that was largely EPA regional office and OAQPS staff, and  
8 there was also a long range transport workgroup, which is  
9 more similar to the past IWAQM phases that people might be  
10 more familiar with. So out of that we have technical reports  
11 and guidance documents to support the proposed revisions to  
12 the air quality modeling guideline.

13           So this looked pretty good on my computer. It  
14 probably doesn't look too good here from where I'm standing,  
15 but this is kind of a schematic of the different pieces of  
16 the puzzle that we were updating through that IWAQM process.  
17 And up on the top we've got Appendix Q updated Chapters 5 and  
18 6 and the preamble language that was relevant to those two  
19 chapters, so that was the main, overarching goal was to  
20 update Appendix W for single source secondary impacts.

21           And below that we've got kind of increasingly  
22 dynamic documents. We've got the high level guidance  
23 documents and moving down into technical reports that kind of  
24 provide a snapshot of what the world is right now in terms of  
25 the technical approaches that are available for us in these

1 single source impacts in the near field and long range  
2 transport.

3           So on the left side we've got the PM Modeling  
4 Guidance that had already been put together. We didn't work  
5 on that, but we did develop a new guidance document for using  
6 models for single source secondary impacts for ozone and  
7 PM<sub>2.5</sub>.

8           And so the idea behind this is if people are  
9 familiar with guidance that we have put out for things like  
10 nonattainment demonstrations, the intent here was to provide  
11 something similar so that people would know if you're going  
12 to use a chemical transport model for the purposes of  
13 estimating single source impacts, how would you set it up and  
14 apply it for doing a PSD permit type of application. So we  
15 wanted to have all that information in one place. That's the  
16 intent of that.

17           And then below that we've got--the IWAQM Phase 3  
18 near-field group had a technical report that just kind of  
19 details where we see the science and the feel of that right  
20 now with respect to doing these types of assessments.

21           On the right-hand side the long range transport,  
22 the main guidance document being the Federal Land Managers'  
23 Air Quality Related Values Work Group Phase I report, the  
24 FLAG guidance document. A lot of people are probably  
25 familiar with that, and so that's going to be--that was not

1 updated as part of this process. We expect the federal land  
2 managers to take up a process moving forward to update that  
3 if they feel it's appropriate.

4           And below that there is also a Phase 3 report from  
5 the Long Range Transport Group that again kind of provides a  
6 synopsis of the state of the practice and science related to  
7 long range transport modeling for air quality related values.

8           Then at the very bottom, which probably most  
9 people in the room can't see, is just--there's a lot of  
10 technical reports from EPA, a lot of external reports that  
11 some people in this room have put together and things in the  
12 literature that we used to inform these reports and the  
13 guidance.

14           So this is just an outline of what's actually in  
15 Appendix W Chapter 5. This is the section on Models for  
16 Ozone and Secondarily Formed Particulate Matter. There's a  
17 discussion of what ground level ozone and secondary PM<sub>2.5</sub>  
18 generally is. There are also some broad recommendations  
19 about what types of modeling systems would be appropriate for  
20 either doing a single source permit type of assessment or for  
21 doing a nonattainment demonstration, which would be a multi-  
22 source projected type of modeling assessment for secondary  
23 pollutants.

24           So what we've tried to do in Chapter 5 is really  
25 clearly delineate using air quality models for nonattainment

1 demonstrations for NAAQS, which would be kind of multisource  
2 or all source projected future year assessment of a control  
3 strategy and also have--clearly differentiate the approaches  
4 necessary for doing a secondary impact assessment for a  
5 permit. So we've got both of those things in there so it's  
6 very clear for ozone and similar information for secondary  
7 PM<sub>2.5</sub>.

8           So the highlights for Chapter 5--this is a totally  
9 new chapter in Appendix W. As I mentioned, we wanted to have  
10 a very clear distinction between nonattainment planning for  
11 NAAQS and permit assessments. We want to emphasize the  
12 importance of developing modeling protocols and consultation  
13 with the reviewing authority.

14           As Tyler mentioned, what we're doing is we're  
15 putting forth a screening approach without a preferred model.  
16 We don't even really mention a lot of model names because,  
17 given the length of time it usually takes to update these, a  
18 lot of times when you go back and read Appendix W it's like  
19 pulling out a time capsule and you see references to models  
20 that you forgot ever existed or, you know, you don't even  
21 know what the reference is supposed to be because nobody has  
22 any idea what that model was back at that time. So what  
23 we're trying to is just kind of focus on high level informa-  
24 tion and not get into a lot of specific details with model  
25 names and things like that.

1           The other thing that Chapter 5 puts forth is a  
2 multitiered approach for single source permit assessments.  
3 We don't expect every single permit assessment to have to do  
4 a rigorous, full scale photochemical transport model type of  
5 assessment. There's going to be a multitiered approach, one  
6 that's going to be using existing information where it's  
7 appropriate and available and seeing if that's going to  
8 provide the information that will work for the assessment in  
9 consultation with the reviewing authority.

10           And then beyond that if necessary we expect there  
11 will be less situations where people would need to use a  
12 photochemical or a Lagrangian chemical transport model. But  
13 in situations where we do get into that, we do emphasize that  
14 it's really important to use techniques that reflect the  
15 state of the science (coughing). Like Tyler, this is also  
16 very emotional for me. It's been a long three years since  
17 the petition was agreed to.

18           Mr. Fox:                   We're almost there, Kirk.

19           Dr. Baker:                I had no idea how this was  
20 going to change my life. So some of the broader considera-  
21 tions for ozone and secondary PM<sub>2.5</sub> permit modeling, we put  
22 forth this idea of MERP, the Model of Emission Rate for  
23 Precursors. And information about this has been included in  
24 the docket. So we're expecting to have this as part of  
25 future rulemaking and possibly guidance.

1           So a MERP is not going to replace the significant  
2 emission rate for permit assessments for determining the  
3 applicability of the PSD requirements for sources with  
4 emissions above the SER. However, a MERP would represent a  
5 level of emissions of precursors that is not expected to  
6 contribute significantly to concentrations of secondarily  
7 formed PM<sub>2.5</sub> or ozone.

8           So if a source has emissions above the SER but  
9 below the MERP, we may not expect that additional technical  
10 demonstrations would be necessary at that point, but still  
11 that would need to be totally determined on a case by case  
12 basis with the reviewing authority.

13           So the idea for the MERP is just kind of an  
14 initial screening to screen out people that we don't--that we  
15 think are small and the emissions are not going to result in  
16 an impact that would be at the level of the SIL in any place,  
17 so we want to--the idea is to have a conservative estimate.  
18 You know, we think no matter where the source is, those  
19 emissions of NO<sub>x</sub> or SO<sub>2</sub> would not result in secondary PM<sub>2.5</sub>  
20 above the SIL anywhere, and similarly for MERPs for VOC and  
21 NO<sub>x</sub> for ozone.

22           So as I mentioned, I think there's a separate  
23 document that's been submitted to the docket where it  
24 outlines how MERPs fit into the permitting process, so in the  
25 past in the PM<sub>2.5</sub> modeling guidance, people probably remember

1 the flow charts where if your emissions are above the SER and  
2 depending on whether you're in an attainment area or a non-  
3 attainment area you kind of go through different processes to  
4 determine what types of quantitative assessments may or may  
5 not be necessary for you and what types of controls may or  
6 may not be necessary. So there's a document that updates  
7 that and includes how the MERPs fit into that process.

8           So with the guidance on the use of models for  
9 assessing the impacts of emissions from single sources on the  
10 secondarily formed pollutants ozone and PM<sub>2.5</sub>, we've provided  
11 guidance so people know what to do for permit assessments.

12           And I want, you know, to just reemphasize that we  
13 expect that a lot of sources will be screened out through the  
14 MERPs once those are available. And if they are above the  
15 MERP, then a first and possibly second tier assessment may be  
16 necessary. And those two tiers are broadly outlined in  
17 Appendix W, and we have more information about those tiers in  
18 this guidance document.

19           So for first tier assessments, it's generally  
20 expected that applicants would use existing empirical  
21 relationships between precursors and secondary pollutants  
22 based on credible and relevant modeling that already exists  
23 and detailed in this guidance.

24           It's also possible that some screening approaches  
25 could be developed based on full science photochemical

1 transport modeling systems such as reduced form models, and  
2 this could provide information that might satisfy the first  
3 tier requirement in some situations.

4           So the use of preexisting credible technical  
5 information or a screening model for the purposes of  
6 estimating single source secondary impacts would be  
7 considered on a case by case basis and done in consultation  
8 with the appropriate review authority. So again, we're  
9 trying to provide a lot of opportunity for people to do a  
10 credible assessment of their emissions against a SIL but not  
11 necessarily have to go right into doing a full scale,  
12 rigorous chemical transport analysis.

13           So a second tier assessment could be necessary,  
14 and when that would be necessary we have guidance on how you  
15 set up the air quality models, inputs, what kind of run time  
16 options might be necessary, how you would set up the  
17 receptors, and how you would do the postprocessing in order  
18 to appropriately assess the impacts of a project source on  
19 ozone and secondary PM<sub>2.5</sub>.

20           And even within the second tier in Appendix W when  
21 you get into that situation, we kind of had a subtier set up  
22 where there's different levels of rigor, so you could do  
23 something a little bit less rigorous and take a more  
24 conservative impact being estimated for the project source or  
25 you could do something more refined and complicated, and

1 there might be some leeway to move off of the most  
2 conservative possible estimate. Those are the things that  
3 would be laid out in a modeling protocol and agreed upon with  
4 the reviewing authority. But we just want to emphasize that  
5 we're trying to build a lot of flexibility into this for  
6 people.

7           So for second tier assessments we do generally  
8 recommend that chemical transport models be used for single  
9 source ozone and secondary PM<sub>2.5</sub> impacts. Chemical transport  
10 models broadly include Lagrangian puff models and Eulerian  
11 grid models such as photochemical transport models.

12           One challenge with Lagrangian puff models is they  
13 need a realistic chemical environment, so you need an input,  
14 a three dimensionally varying set of oxidants and mutualizing  
15 agents, so you need to get that information from somewhere  
16 else, and it could be--you could get that from a photo-  
17 chemical transport model because photochemical transport  
18 models do estimate a generally realistic or usually realistic  
19 chemical environment, and that output could be used as input  
20 to a Lagrangian model if people are interested.

21           And there certainly could be some situations where  
22 the three dimensional environment around a project source and  
23 key receptors isn't that complicated. You might not need to  
24 go to that type of rigor, but that is something that would  
25 be, again, decided on a case by case basis.

1           When using photochemical transport models, we've  
2 got a lot of information in the guidance about how they would  
3 be used for this purpose. Even though single source  
4 emissions are injected into a grid volume, we have done  
5 comparisons with in-plume measurements, and this suggests  
6 that grid based models can provide appropriate downwind  
7 secondary impacts when they're set up and applied appro-  
8 priately for that particular purpose. So we do have  
9 confidence that these models do work for single source permit  
10 types of assessments.

11           But having said that, clearly given that, you  
12 know, there's not an enormous amount of information available  
13 up to this point, further testing is needed for different  
14 types of modeling systems, both Lagrangian and Eulerian, to  
15 better understand what configurations are going to be the  
16 most appropriate for permit types of assessments and build  
17 upon a broader base of knowledge so that we can understand in  
18 different parts of the country and even in different parts  
19 maybe of particular urban areas how much secondary PM or how  
20 much ozone would we expect to see from different levels of  
21 precursor emissions.

22           So I think that's going to be important going  
23 forward is just building upon that body of knowledge and  
24 seeing how variable that's going to be from place to place  
25 and even within a particular place.

1           So the IWAQM3 Near-field Impacts Group updated the  
2 preamble and Chapter 5, which I mentioned this new guidance  
3 document, which is available in the docket, which I just  
4 talked about. And there's also a summary report that talks  
5 about what we know right now about the relationship between  
6 single source precursors and downwind secondary impacts.

7           There's an overview of published emissions and  
8 secondary impacts from single sources to provide some context  
9 for what we expect in terms of impacts from these types of  
10 sources, and it also talks a little bit about recommended  
11 models, approaches, and tools for these types of assessments  
12 that are available now.

13           So estimating source contributions with chemical  
14 transport models, Lagrangian puff models are pretty straight-  
15 forward. They usually just output the project source  
16 impacts. When you use something like a photochemical grid  
17 model that contains all the sources, it's really not that  
18 complicated, but you just want to keep in mind that it could  
19 involve two different simulations, that the simplest way to  
20 get the single source impacts from photochemical grid model  
21 simulation would be to do a model simulation with all the  
22 sources and the project source at preconstruction levels and  
23 do a second simulation with all the same sources not changed  
24 and the project source at postconstruction levels.

25           And what you would do is just difference those two

1 things and find out what the impacts on ozone or secondary  
2 PM<sub>2.5</sub> is from your project source. And that's what's  
3 represented in the schematic that most people unfortunately  
4 from about the fourth or fifth row back probably can't see,  
5 but we've got the baseline on the left with the source  
6 modification compared to the baseline in the middle.

7           And on the right you can clearly see with the  
8 spatial plot the warmer colors being the higher impacts  
9 nearest the source itself, and they kind of fall off as you  
10 get further away from the source. And it varies direction-  
11 ally based on the meteorology. So it's kind of a physically  
12 realistic impact that we're seeing when we use these types of  
13 models.

14           And alternatively, there's more complicated things  
15 you can do with a photochemical transport model if you use  
16 extensions like source apportionment or DDM. You could track  
17 the model--you could track the contribution of a particular  
18 source through the model without a second model simulation,  
19 although that does require some additional resources.

20           Real briefly on Chapter 6, this is the section--  
21 now it's just focused on air quality related values and other  
22 governmental programs, so Chapter 6 just kind of talks about  
23 what are air quality related values, how do the FLMs fit into  
24 this picture, and what is the appropriate guidance, and here  
25 it would be the FLAG guidance.

1           So in the past, as I mentioned before, Chapter 6  
2 comprised a lot of really incongruous information. It had  
3 GEP information in there along with long range transport  
4 modeling, so it is really focused on visibility and  
5 deposition and other programs.

6           I'll emphasize again as Tyler mentioned using  
7 chemical transport models for these types of purposes, and we  
8 expect the specific guidance that people refer to would be  
9 looking at the FLAG guidance document. Specific guidance for  
10 models and model applications are also available from the FAA  
11 for airports and from BOEM for offshore sources that are  
12 within their jurisdiction.

13           If it's an offshore source that's within EPA's  
14 jurisdiction, then you would refer to other parts of the  
15 *Guideline on Air Quality Models*, Appendix W, for information  
16 about doing those types of assessments. And Tyler also  
17 mentioned that the screening approach for primary pollu-  
18 tants, that's in a different section of the *Guideline on Air*  
19 *Quality Models*.

20           So finally, the IWAQM3 and Long Range Transport  
21 Group worked on updating the preamble and Chapter 6, and  
22 there's also in the docket a report from that group that  
23 talks about recommended models, approaches for long range  
24 transport assessments of secondary pollutants including  
25 visibility and deposition.

1           Mr. Bridgers:           Thank you, Kirk. And it looks  
2 like there's an assurance if I can keep my comments to time  
3 that everyone will have a longer lunch break. I'm the emcee  
4 and the conference host, so I have some prerogative that I'm  
5 going to take. I have two talks scheduled now on your  
6 agenda. If you see them, I'm going to reverse them, and I'll  
7 explain why.

8           I don't know if it was late one night, I don't  
9 know if it was early one morning when I put this agenda  
10 together and I just randomly put my presentations on there,  
11 and then I realized last night about 9 o'clock--I'm like,  
12 "Er, I really should talk in the other order."

13           A subtle feature that we didn't announce: the  
14 agenda today across the morning largely follows the preamble  
15 and the proposed actions that we have. And so to talk about  
16 the Clearinghouse needs to happen before we talk about the  
17 final Chapter 8 and Chapter 9, so I'm going to take the next  
18 ten minutes--and good Lord, I need this--to talk about the  
19 Clearinghouse and then we'll switch to a conversation about  
20 single source and cumulative analyses.

21           So again, just for the record, George Bridgers  
22 with the Air Quality Modeling Group here. As I started off  
23 here and want to start off now, I want to kind of frame  
24 things with what is already in regulation and kind of frame  
25 some history of the Clearinghouse and then talk about what

1 we're trying or proposing to do in the revisions to the  
2 *Guideline*.

3           So to start off with, in 40 CFR Part 51, 51.166--I  
4 sound like I'm up in the policy group right now--(1) (2)  
5 specifically, the authority for the specification of a model  
6 in Appendix W, which essentially happens in Appendix A to  
7 Appendix W, it's all granted through writing from the  
8 Administrator.

9           Now, I can assure you Lisa Jackson--oh, excuse me,  
10 whoa. Our fair and very esteemed Administrator McCarthy--I'm  
11 sorry to her--that will certainly come up in my performance  
12 review. See, you get in front of all these people and you  
13 mind just goes blah.

14           So at any rate, yes, she was with the president  
15 last week with a very big announcement, and I'm surprised the  
16 president's not here with our announcement, but nonetheless,  
17 so yes; I do not think that Administrator McCarthy would be  
18 personally writing the approvals for the various models.

19           We do that through rulemaking for the Appendix A  
20 models, the ones that are preferred status. And then for the  
21 alternative models it happens through a delegated authority  
22 with the regions. And I wanted to point out first every-  
23 thing--the buck stops with D.C. and the Administrator.

24           The actual delegation of authority within the  
25 hierarchy happens in Appendix W, and it has since the '90s.

1 So that happens actually in Section 3. I think it's always  
2 been in Section 3, and so what we're trying to do right now  
3 is to bring further clarity to the delegation and respect  
4 what we have next and something that's been--and I have  
5 slides in a minute--that's been throughout the process, and  
6 that's that the regional offices already have a responsi-  
7 bility through regulation that they have to coordinate with  
8 headquarters on anything that could be inappropriately or  
9 unfairly or, you know, capricious and arbitrarily applied  
10 across the regions.

11 And so we're the headquarters, and so the buck  
12 stops at least with the approval of alternative and preferred  
13 models with us in the Air Quality Modeling Group and then  
14 with the Clearinghouse the way it's been set up.

15 So just for the record, it's on the screen as Part  
16 56 and 56.5 is where this responsibility of the regional  
17 offices to seek concurrence of the headquarters. If anybody  
18 is red-green color blind, it's just blank, but I assure you  
19 it's on the screen.

20 So we have stressed the importance and the  
21 consistency of--or trying to have or gain consistency for  
22 years in multiple revisions of the *Guideline* in the very  
23 first sentence, and that's the "Industry and control  
24 agencies"--and this has come through previous public comment,  
25 and I think everybody in this room--well, I'm not going to

1 speak for everybody in this room, but I would hope everybody  
2 in this room would want consistency in the application of air  
3 quality models in the regulatory context. Otherwise, we're  
4 not doing our job right.

5           So just to point out a few things, this one is  
6 actually in the docket. We included this on the 11th  
7 Modeling web site because we discovered it was not anywhere  
8 to be found. And unfortunately, Annamaria could not be with  
9 us today, but Annamaria, our Region 2 modeling contact, was  
10 able to dig up in her treasure trove of archives the old 1988  
11 Model Clearinghouse Operational Plan.

12           And surprisingly, being the Model Clearinghouse  
13 Director for going on five years now, I hadn't read that.  
14 Maybe I should have--another performance review thing, but  
15 Tyler couldn't provide it to me anyway. Nonetheless, it was  
16 an interesting read because everything--and we got this prior  
17 to the proposal--because everything that we're trying to  
18 codify in this proposed action was clearly stated and  
19 provided to the regions in 1988.

20           1993 was the first time that the Clearinghouse  
21 actually showed up that I could find in the *Guideline*. It  
22 was in Section 3. And it was interesting that the first  
23 thing that I found there was that the primary function was to  
24 review decisions proposed by the regional offices on modeling  
25 techniques and databases.

1           The other two--one was performing audits and then  
2 annual reports. We'll get back to the annual reports at some  
3 point, but I'm not suggesting--we're not suggesting we're  
4 going back to the old days of auditing the regional offices,  
5 but that used to happen. But nonetheless, historically the  
6 Clearinghouse has been at the center of modeling demon-  
7 stration approvals in the alternative context and the  
8 preferred context.

9           So subsequent revisions of the *Guideline* seemed  
10 to--and this just happens with time. Some of the context was  
11 lost through what we sometimes call streamlining, but what  
12 we're trying to do today is to codify something that has been  
13 in practice for like 25 years.

14           So that's what we have right now is that the  
15 responsibilities and the preferred status approvals all  
16 happen in Section 3.1, and in 3.2, this is where the  
17 Clearinghouse comes in with the approval or concurrence with  
18 the regional office on all of the approvals of alternative  
19 modeling demonstrations.

20           So in the proposed revision, as I said, we have  
21 references to the 1988 Clearinghouse Plan. We listed in the  
22 new proposal the 51.166(1)(2) regulatory text reference, and  
23 that is to bring clarity on that delegation authority with an  
24 understanding of what we talked about with the 56.5(b).

25           We're trying to provide as much transparency--

1 again, this is a process that's been in place for 25 years.  
2 There was a clearinghouse document, the operational plan that  
3 I couldn't even find. It was referenced in the 2005 version  
4 of Appendix W that's current, but it's one of those  
5 unclickable links you can't find, so we're trying to make  
6 sure that the process is as clear as humanly possible, not  
7 only for our regional offices but for everybody in the  
8 regulated community.

9           And it's also--for the stakeholder community it's  
10 what's needed because every decision will be considered--at  
11 least on alternative models will be considered in the context  
12 of its national importance and not just the regional  
13 importance.

14           So I did want to take just a few minutes--this is  
15 the formal process, and there are some roles and responsi-  
16 bilities here that I'll also note. First and foremost, the  
17 reviewing authority, whether it be a local program, a state  
18 program, in some cases EPA or a tribal situation, they're the  
19 first--they're the first rung in the ladder, so that's--when  
20 an applicant is having issues, they're the people that need  
21 to be addressed first.

22           When--in case it's not a regional office, if it's  
23 a state, local, or tribal program, if they cannot resolve the  
24 issue or if it's going to fall in the territory of an  
25 alternative model, then they can--they can engage the

1 regional office. And then from there the regional office  
2 will engage us here in RTP.

3           We don't have situations--and I promise you some  
4 of you will know. If you call me up and say, "Hey, George,  
5 I've got this problem with this facility," I'm going to stop  
6 right there and say, "Have you talked to the state," "Have  
7 you talked to the region," and "We need to have this  
8 conversation in the context of all of them on the phone."  
9 And that way the information process stays in its proper  
10 order.

11           At the point that it's determined that the  
12 regional office is going--or needs to make a decision on an  
13 alternative model through that delegated authority, they will  
14 request from the Clearinghouse concurrence on their decision.  
15 And so they'll actually write us a request, and it's some-  
16 thing that's done in coordination with us--it doesn't happen  
17 in a vacuum--and often in coordination with the state or a  
18 local program.

19           A little earlier this morning I gave a demon-  
20 stration of the Region 2 clearinghouse situation from July.  
21 The state modeler, the regional modeler, and the  
22 Clearinghouse closely coordinated as we pulled that response  
23 together, so it was not done in a vacuum.

24           The Clearinghouse would receive a statement of  
25 issue, the desired approach with an appropriate justifica-

1 tion--as the lawyers would like to say, a well reasoned  
2 justification--and that would follow what's in Section 3.2.2  
3 of the current Appendix W. And fortunately for mapping from  
4 the new to the proposed, it's also Section 3.2.2 in the  
5 proposed version. And then the Clearinghouse would engage  
6 back with the solutions and write the formal concurrence--  
7 well, hopefully concurrence--memorandum.

8           Let's see. Moving along, so again, we summarize  
9 those things in MCHISRS, which I demonstrated before the  
10 break, and we also present things at the annual regional,  
11 state, and local modelers workshop and at conferences like  
12 these.

13           Fortunately in the last four to five years we also  
14 have started having industry days where we will invite  
15 outside stakeholders to the regional, state, and local  
16 modelers workshops, so again, that should be bringing  
17 additional transparency.

18           And finally--and this I think is something that  
19 people lose--generally in the community lose sight of. It's  
20 the Clearinghouse memorandums that's another mechanism for  
21 bringing issues to us that identify things that we need to  
22 change the course of the ship, so to speak, in whether it's  
23 the guidance documents we produce or ultimately rulemaking  
24 that we need to go through.

25           So if we were not going through this process right

1 now, this whole proposal process, and ARM2, just to take an  
2 example, were presented to us, it would put first and  
3 foremost that that's one of the things that needs to be on  
4 the docket for the next rulemaking.

5           And with that, I have a link here for the  
6 Clearinghouse--again, that link will eventually change--and  
7 then my contact information, but this is for questions  
8 specific to the Clearinghouse and not the proposal. So with  
9 that I will end that presentation as close to on time.

10           And then I will move to the final presentation in  
11 the morning session, and this is on single source and  
12 cumulative impact analysis, which is maybe not the--well,  
13 it's a good title. But what I'm going to talk about is  
14 really Section 8 and Section 9 of the proposed rulemaking.

15           So throughout the morning we have heard a lot of  
16 discussion about AERMOD, AERSCREEN, met aspects of the  
17 *Guideline*, other aspects of single source modeling in the PSD  
18 context. We really have talked about all aspects of Section  
19 1 through 7 and portions of Section 8 that we're proposing to  
20 update.

21           And all this culminates--it was previously  
22 Sections 8 and 10, but all this sort of culminates at the  
23 very end of Appendix W. And so what I'm planning to do right  
24 now is to talk about that culmination and what we propose to  
25 do. And actually, I probably could take Tyler's talking

1 points from his first opening session because he did such a  
2 great job.

3           But nonetheless, we simplified--I shouldn't say  
4 simplified. It's probably a bad choice of words. We've  
5 streamlined Appendix W, the *Guideline*, by reorganizing  
6 information hopefully, and this is what we expect or  
7 appreciate your feedback on in a more logical manner.

8           The previous Section 9 had a lot of information  
9 about uncertainty, and it's one of those classic pieces of  
10 regulation. You get to the very end of the old Section 9 and  
11 it says basically disregard everything we just talked about  
12 because we don't have enough information to bring it to bear  
13 in a regulatory context. There was a very awkward set of  
14 text there. But nonetheless, we've reorganized information  
15 from the previous Section 9, streamlined overall Appendix W,  
16 so the previous Section 10 is now Section 9.

17           Despite us talking from the highest mountain or  
18 valley or, you know, podium that we can find saying that  
19 there's all sorts of reasons that you should not use the  
20 draft resource manual, the old puzzle book, at least in the  
21 context of the permit modeling, is that, you know, if you can  
22 use the old workshop manual and get the answer that you need  
23 to get your permit, have at it, seriously.

24           But just because past practices have worked for  
25 decades doesn't mean that they were necessarily the best

1 practices. Now, I'm a young whippersnapper, so to speak.  
2 I'm not one of the old tried and true of the community, but I  
3 can tell you that things in that workshop manual were overly  
4 conservative.

5           Were they great thoughts? Yes. They were well  
6 thought, well reasoned at the time, but the science, the  
7 community has evolved, and we also have some very new,  
8 different form standards, different time metrics that we have  
9 to take in consideration. And taking those into considera-  
10 tion in the mind's eye of the rest of the community and the  
11 rest of the tools that we have, we do need to move away from  
12 some of the old unnecessarily conservative and complicated  
13 practices. So that's one of the things that we're attempting  
14 to do in this rulemaking.

15           So throughout Section 8 we've intended to modify  
16 the past practices and provide a more appropriate basis for  
17 the selection and the use of the various modeling inputs.  
18 I'll have some more slides on that in a minute.

19           And in Section 9, as Tyler said, what we've really  
20 tried to do is get rid of a lot of old, bad or incorrect  
21 language that was in Section 9 and bring to bear the policies  
22 that the agency has been following with respect to single  
23 source and cumulative impact analysis. And then in rare  
24 circumstances, Tyler said, we've maintained and will remain  
25 to keep the old Section 10.2.2 with respect to monitoring in

1 lieu of modeling.

2           So in Section 8, and this is new, there is a  
3 section now talking specifically to the definition of a  
4 modeling domain. That's information that previously was not  
5 in Appendix W. We're proposing a new Section 8.1 with the  
6 specific requirements that set up the definition of modeling  
7 domain, and this is where you would have a radius extending  
8 from your source that's either new or modifying out to the  
9 point--the furthest point to which it can be demonstrated to  
10 have a significant ambient impact. So this is sort of  
11 where--the old process of where you use a SIL analysis to  
12 figure out what your modeling domain is.

13           The other caveat is, is 50 kilometers, as Tyler  
14 has said, at least for the inert pollutants and the NAAQS  
15 compliance, is the limit. And so whichever one of these is  
16 less is your modeling domain, and this is what would be used  
17 in the cumulative analysis.

18           With respect to attainment demonstrations where  
19 there was not information before, we're now providing some  
20 more information that talks about setting and establishing  
21 modeling domains in that context too.

22           Now, this is one that's a little bit different  
23 because the nature of the problem is going to be different.  
24 You're normally talking about larger areas and multisources,  
25 and so that area needs to include all the major upwind areas

1 that could have impacts on the nonattainment area and also  
2 all the monitors that are violating the nonattainment area.  
3 And as a caveat and a previous modeler for a state, you  
4 should really have--although we've seen it--all of the  
5 nonattainment area in your modeling domain, but we classify  
6 it as all the monitors being encapsulated.

7           I will say in both 8.1 and 8.2, and this happens  
8 in the context of a well developed modeling protocol, these  
9 both should be vetted with the appropriate reviewing  
10 authority before significant modeling is underway. And  
11 that's just an assurance on both sides that what's being done  
12 is appropriate.

13           In Section 8.2 we have made some other changes,  
14 and this flows along with the old source input data from the  
15 previous Appendix W. Well, I say the previous; it's the  
16 current, the 2005 version. And I have listed out here some  
17 specific section numbers with the various different pieces.

18           But we have added new language with respect to,  
19 again, SIP attainment demonstrations where Appendix W was  
20 lacking previously--in this case for ozone, for fine  
21 particulates, and also for regional haze--new language on how  
22 to characterize the direct and the precursor emissions, and  
23 that's in 8.2.2(a).

24           We've revised the requirements on how to  
25 characterize emissions from nearby sources that need to be

1 explicitly modeled for the purposes of a cumulative analysis,  
2 and that's covered in a handful of paragraphs in 8.2.2(b),  
3 (c), (d) of the new proposed Appendix W. And then finally in  
4 8.2.2(e) we revised the language on how to characterize  
5 emissions from mobile sources, and that's been updated and is  
6 more appropriate. And that happened with coordination with  
7 our transportation partners.

8           The most notable change--and this is the one that,  
9 you know, flashing lights or whatever that we've changed--is  
10 how to characterize the emissions from nearby sources.  
11 Tables 8-1 and 8-2--they're still Tables 8-1 and 8-2, and  
12 that's for simplicity in all the world, so we didn't change  
13 the table numbers up--we have changed that nearby sources  
14 will now be characterized by--and I put it in quotations  
15 because there's 100 different ways you could classify this--  
16 what we traditionally have called actual emissions rather  
17 than allowable emissions.

18           So my next caveat is the next bullet: emissions  
19 are based on emission limit, operating level, operating  
20 factor. Please look at Tables 8-1 and 8-2 to understand the  
21 full context of actual and allowable emissions because they  
22 can take on some slightly different connotations.

23           With respect to the actual emissions, they need to  
24 be based on the most recent two years of actual, and I  
25 probably should have put a comma there, nominal emissions.

1 If the facility was shut down for two years for maintenance  
2 or for a year for maintenance, you should not use one of  
3 those in calculating what their actual emissions are.

4 I know many of you would like to, but you should  
5 have two years of actual operation and they should be typical  
6 operation. And so there's a bit of an art there in creating  
7 that emissions. Number one question: where's the inventory?  
8 Just like with SIPs, there's some work that's going to have  
9 to be done there nonetheless.

10 I do also want to point out--and this is no change  
11 in Tables 8-1 or 8-2 with respect to the new or modifying  
12 source. They're still going to be characterized by their  
13 proposed allowable or the permit limitation emissions, so the  
14 only change is with nearby sources.

15 Then there's Section 8.3, and 8.3 kind of--  
16 everything here gets a little jumbled because this kind of  
17 plays back on some of the things that we talked about in 8.2  
18 because this is where we're talking about how we construct  
19 the design concentration. And that has to be done in context  
20 of whether you're an isolated single source or whether you're  
21 in a multisource area.

22 In an isolated single source area, typically  
23 you're--and this is in the cumulative context--typically  
24 you're going to have some background monitor that's going to  
25 be representative of everything, and that's going to be

1 nearby sources and other sources and international emissions,  
2 and then you're going to have your project source.

3           In the multisource area there's some updated  
4 language in 8.3.3, and this is where you talk about the  
5 culmination of sources that could be nearby that need to be  
6 explicitly modeled, the other sources that are typically  
7 characterized by background emissions, and the background  
8 emissions. And then there's always the other emissions, like  
9 I said, and that's typically taken care of by the monitored  
10 background.

11           Before I get to that, I want to say a few more  
12 things about 8.3. We also go into some detail here--and I  
13 have it as the first bullet; I just missed it--is a  
14 discussion of the importance of understanding of what the  
15 monitoring data truly represent.

16           And this is--this is important because this goes  
17 back to the bad past practices, because as often is the case,  
18 we have seen time and time again that someone includes a  
19 background monitor and they include--and I don't want to give  
20 a number because I'll miss--somebody will say, "Oh, I've seen  
21 less" or "I've seen more," but numerous--underscore,  
22 italicize, quotations, whatever, boldface--numerous nearby  
23 sources. And there's a significant amount of overcounting,  
24 double counting, extra conservativeness that's put into the  
25 demonstration.

1           The community--what we're proposing is the  
2 community as a whole, and that includes the states and  
3 locals, they need to get out of the habit of just taking  
4 everything in the kitchen sink and throwing it at the model  
5 and then coming to us and saying, "We're getting these  
6 outrageous concentrations," and you've got 1,000 nearby  
7 sources in there.

8           And so there is updating language--I'm jumping  
9 around in the bullets, but there is updated language about  
10 the concept of using significant concentration gradients to  
11 understand where you have situations where you have nearby  
12 sources that are just not well classified or characterized by  
13 the monitor and need to be explicitly included. But there  
14 should be--and this statement is from the proposed guidance,  
15 that there should be only a few nearby sources in most cases.

16           There's already been discussion this morning on  
17 the met data side and the met data input, you know, the  
18 introduction of the possibility of prognostic data where a  
19 National Weather Service is not reasonably available and it's  
20 just not feasible to collect site specific data. And then  
21 also we brought in AERMINUTE just so it was clearly classi-  
22 fied in Appendix W.

23           Now, everything culminates in Section 9. We  
24 stress--we updated the language with respect to 9.2.1; it's a  
25 recommendation, it's not a requirement--that the development

1 of a modeling protocol is extremely important. This is the  
2 living document that everybody can look to to understand  
3 what's going on, and a well developed modeling protocol on  
4 the front end makes the whole back end with the public  
5 hearing and the public sharing of information much easier.

6           Information with respect to the design concen-  
7 trations, previously we had information scattered between  
8 Section 7 and Section 10. We had all very, very specific  
9 language for what individual standards were. As Kirk got up  
10 here and said with the models that were listed in Section 6,  
11 you look at it and you go what era, what decade is this from.

12           We removed that from the current proposed Appendix  
13 W. We're not going through and listing out what every  
14 current standard is and how to calculate it. That's going to  
15 be handled in guidance outside because the standards change  
16 and we can't update Appendix W every time we revise the  
17 NAAQS. We may need to at times, but we shouldn't do it every  
18 time. So it's more dynamic.

19           We've also improved the discussion on receptor  
20 sites in 9.2.2. Along with putting too many nearby sources  
21 in, the other thing that we were seeing is people using tens  
22 of thousands, if not hundreds of thousands, of receptors out  
23 to 50 kilometers in every direction, and that is excessively  
24 large and unnecessary. And this goes back to we've updated--  
25 are proposing to update language with respect to the modeling

1 domain, what's in that modeling domain, and then the  
2 receptors that you look in that modeling domain.

3           In 9.2.3 we overhauled the overall recommendations  
4 of how to do the compliance demonstration. The language  
5 wasn't clear before and it wasn't concise, so now we have as  
6 the first stage that you perform the single source impact  
7 analysis. Some people refer to that as the SIL analysis.  
8 And then only upon demonstrating that you are above or could  
9 cause a significant impact, then you would move to the  
10 cumulative analysis, which is much more comprehensive.

11           We also revised--and this was a major overhaul  
12 because there were parts of the emissions limit discussion  
13 that even our policy folks looked at and didn't understand or  
14 realize--I mean most of the regional offices read it and  
15 said, "We didn't realize that was in Appendix W." And it was  
16 outdated and it was largely incorrect given the form and the  
17 time frame of the new standards.

18           And finally, as I just mentioned earlier, there is  
19 some more information provided with respect to the monitoring  
20 in lieu of modeling or the use of measured data in lieu of  
21 model data, but as Tyler said, this is an area where we are  
22 seeking input because this is an area where we don't--we only  
23 have a couple of very dated and very old examples.

24           And so we have provided more, hopefully more  
25 clarity and some more structure on how one might step through

1 the process to determine whether or not they can use  
2 monitored data, but there's a whole back end part that's not  
3 in Appendix W and probably should never be in Appendix W that  
4 goes through the whole policy aspects of then how the data is  
5 used in actually writing the permit, potentially caveats that  
6 need to be in that permit, conditions or postconstruction  
7 monitoring or the like. And that's just something that's not  
8 relevant or appropriate in Appendix W, but nonetheless we end  
9 that.

10           So Appendix W has this nice little, okay, we  
11 defined the universe for models. If you have current models,  
12 you can use them, great, well and fine. If you have  
13 situations that you need to use an alternative model or  
14 there's not a preferred model, there are situations for that.  
15 We define how you use your input data, how to put that in a  
16 regulatory context. But if all else fails, there's this last  
17 piece, and this last piece is the one that we want to get  
18 additional comment from the external community. I think with  
19 that I am done.

20           And so seeing that it is almost 11:45, I will take  
21 this opportunity to break us for lunch. I'm going to keep us  
22 on the 1:20 time schedule, so we get a few extra minutes for  
23 lunch today. I'm trying to think of any other caveats. Just  
24 try to be back in the room by 1:20 because we'll start then.  
25 Have a great lunch, everybody.

1                    **F U R T H E R   P R O C E E D I N G S**    1:24 p.m.

2                    Mr. Bridgers:            So I want to welcome everybody  
3 back to the afternoon session of the first day here of the  
4 11th Conference on Air Quality Modeling. As if the modeling  
5 conference wasn't already a public forum or public hearing  
6 that's being transcribed, this is also a public hearing for  
7 the proposed rulemaking on the revisions to the *Guideline on*  
8 *Air Quality Modeling*, as I mentioned that this morning. So  
9 from this perspective, it's at this point that we actually  
10 start the public hearing officially for the notice of  
11 proposed rulemaking. So as the public hearing officer, I  
12 call the public hearing to order.

13                    Just as a reminder--I don't want to spend a lot of  
14 time on this and we can go right into the presentations--all  
15 the presentations today are part of the record. They'll be  
16 put in the docket at some point, in the week or so following  
17 this conference. As I mentioned earlier, most of all the  
18 presentations are already posted online that you can get  
19 through the agenda that's posted online. And I'll make  
20 that--I'll have more clear links over the next couple of days  
21 for others that weren't able to join us here.

22                    I do ask that everybody identify themselves when  
23 they come up to the microphone. And to that end, for the  
24 court reporter next to me, I am George Bridgers with the Air  
25 Quality Modeling Group here at the USEPA. All the docket--

1 all the dialogue will be transcribed. We're not having any Q  
2 and A. Let's see what else in my caveats.

3           Anyone that did not request a time to speak in  
4 advance will have an opportunity tomorrow late morning and  
5 then tomorrow afternoon to offer oral comments to the docket.  
6 Otherwise, comments then can be submitted to the docket for  
7 the next--it depends if you count from today or tomorrow, for  
8 the next 74 or 75 days to October 27th of 2015.

9           We have a full afternoon. Although there are only  
10 15 presentations, there's a lot of material to cover. So I  
11 ask that all speakers keep to their set times. And to that  
12 end since we're only offering 15 minutes, I will have to cut  
13 people off. I will not try to be rude about it, but when we  
14 get to 15 minutes, that's your allotted time. We will hold  
15 that tomorrow as well with the public oral comments.

16           So without wasting any time, I would like to  
17 transition. And first up we have three presentations,  
18 although they're by different affiliations for Bob Paine,  
19 they're from Bob Paine. This is not the Bob Paine  
20 conference. And so Bob Paine.

21           Mr. Paine:           Thank you. You've already  
22 identified me. I'm from AECOM and I've given the court  
23 reporter a business card. This talk is going to be on behalf  
24 of the American Iron and Steel Institute or AISI. And we're  
25 going to talk about near-field modeling and source

1 characterization issues for near-field modeling. I would  
2 like to express appreciation to EPA for the dialogue that  
3 AISI has had with EPA on these issues and we're going to  
4 continue with that dialogue.

5 I'm going to talk about two issues that I have  
6 time for and then there are supplemental issues that are  
7 provided as attachments to the presentation, which I will  
8 summarize very briefly at the end of my verbal comments.

9 Highly industrialized areas are mentioned briefly  
10 in the proposed Appendix W changes and we would like to  
11 expand on that discussion here. However, those with large  
12 heat releases over a sizeable area can and should be modeled  
13 with urban dispersion option in AERMOD.

14 The other issue I'm going to dwell upon at some  
15 length is stack plumes on or near buildings that have  
16 experienced fugitive heat releases maybe not related to the  
17 actual stack that can lift off the plumes being modeled.  
18 That would--accounting for those effects would reduce  
19 inaccurate overpredictions due to the current downwash that  
20 does not account for these heat releases.

21 The supplemental issues provided as attachments  
22 deal with some evaluation results for these two items at the  
23 top and also two other issues. And that is plumes from  
24 adjacent stacks that would be partially merged and result in  
25 a higher effective plume rise and also plume rise from moist

1 plumes that isn't really addressed in AERMOD.

2 I have already mentioned the EPA and AISI have  
3 been discussing these, and several technical documents have  
4 been provided to EPA. But these documents will also be  
5 provided to the docket for this rulemaking by AISI.

6 Okay. Let's talk about urban dispersion for  
7 highly industrialized areas. Right now--and this is really a  
8 source characterization effect. It's not really a change in  
9 the model, but it's a change in how you characterize a  
10 source's input to the model.

11 Normal assignments of urban versus rural  
12 dispersion are important here. And industrial processes in  
13 geographic areas of large heat releases but low population,  
14 such as areas with a lot of industrial activity where not a  
15 lot of people live and there might be water bodies nearby  
16 that would make the 3 kilometer circle be characterized as  
17 rural, but with all the heat release, it's probably better to  
18 model it as an urban area with a large effective population.

19 And I'm going to talk about how to characterize  
20 that effective population. Actually, Appendix W does refer  
21 to that, the need to do this characterization. This  
22 characterization would then provide the appropriate urbanized  
23 treatment of mixing height and the temperature lapse rate for  
24 the dispersion calculations.

25 Now, in the classic urban area, which is shown at

1 bottom right, there is a temperature excess at the core of  
2 the urban area. And you can identify the depth of the urban  
3 heat island, basically the boundary layer, by the temperature  
4 difference between the core of the urban area and the  
5 outskirts.

6 But as I said, these large industrialized areas do  
7 not meet the classic definition for an urban area, but the  
8 formulation of AERMOD does provide a way to parameterize the  
9 effective urban population if you can get an idea of the  
10 delta-T between the urban and rural.

11 The next slide shows how to get that. From the  
12 AERMOD model formulation, the delta  $T_{u-r}$  is related to the  
13 population input to the model with this relationship. Where  
14 there's a 12 degree Celsius delta-T, it is related to a  
15 population--a reference population of 2,000,000.

16 You can get at the temperature difference now via  
17 satellite data, which I'm going to show an example of. And  
18 there's going to be more documents uploaded to the docket  
19 that explain how to use satellite data to obtain this very  
20 important input to this process.

21 Alternatively, if you have engineering estimates  
22 of the excess heat release, the bottom equation, if you can  
23 see it, shows how you relate the watts per square meter  
24 excess heat release to the temperature difference, and then  
25 the temperature difference can be related to the effective

1 population.

2           So let's talk about how we can get measurements of  
3 this urban-rural temperature difference via satellite data.  
4 Available satellite platforms are ASTER and LandSat 8. And  
5 again, we're going to provide more technical discussion of  
6 how to access these databases. You actually don't get the  
7 temperature difference map directly from the satellite data.  
8 You have to download the data and then create the map. In  
9 the explanation we'll go into how that's done.

10           We provide an example on the next slide of such a  
11 map and also in Supplement A to the presentation that will be  
12 online. And what you really get is a brightness temperature  
13 that is related to the actual physical temperature  
14 difference. Obviously these procedures are relatively new,  
15 being refined.

16           The next slide shows an example of a highly  
17 industrialized area with the white ellipse. And you can see  
18 on the right side the variation of the temperature, the  
19 brightness temperature. And the difference between the core  
20 of that highly industrialized area and the outskirts is  
21 roughly about 12 degrees Celsius.

22           And you can then accommodate that to the equation  
23 on the previous slides. That would be an effective  
24 population of about 1,000,000, which then could be used as  
25 input to AERMOD with an urbanized--urban approach with an

1 effective population of 1,000,000. The next--and again, the  
2 Supplement A gives more information about how this has been  
3 evaluated already with a highly industrialized area.

4           The next topic I want to talk about is building  
5 downwash issues with this fugitive heat liftoff effect. In  
6 fact we have a procedure called LIFTOFF.

7           There is an issue of--there is an issue with light  
8 winds and downwash. Sometimes we get in AERMOD high  
9 predictions in light winds, which is somewhat counter-  
10 intuitive. I list a couple of papers down at the bottom of  
11 this slide that discuss this issue of downwash and light  
12 winds. The bottom paper, which is a plume lift-off  
13 consideration, is the core of this new technique, a paper by  
14 Hanna, Briggs, and Chang. And I'm going to talk about a  
15 formulation in that paper that we are using in this new  
16 procedure.

17           When we see these predictions under light wind  
18 stable conditions, we realize that they are probably not real  
19 in some sense or they wouldn't be expected because first of  
20 all you'd expect intermittent downwash with the winds  
21 fluctuating. AERMOD does not accommodate the fact that you  
22 have unsteady downwash in conditions with a lot of wind  
23 fluctuations in effect. To my knowledge the PRIME model does  
24 not have a meander treatment in AERMOD, so that's another  
25 reason why you might get an overprediction in light winds

1 with downwash effects.

2           So how to adjust for this issue? Actually,  
3 there's another model; the Danish OML model does account for  
4 the intermittent nature of light winds on downwash, and the  
5 publication is available here as a link. There's a weighting  
6 factor in that model to accommodate the intermittency of this  
7 effect.

8           Now, let's add the issue of heat releases onto low  
9 winds, and we have a treatment in that referenced paper with  
10 a dimensionless buoyancy flux that's related to the heat--the  
11 fugitive heat release, the wind speed, which is an hourly  
12 effect, and a plume width that's probably tied to the  
13 building width.

14           So what we created is sort of a postprocessor to  
15 AERMOD where we deal with the intermittency by using an  
16 hourly weighting factor between two extremes, the no downwash  
17 case and the full downwash case.

18           As the buoyancy flux, dimensionless buoyancy flux,  
19 goes toward zero, you would tend toward a full downwash  
20 treatment. As the dimensionless buoyancy flux increases to a  
21 large number, it would tend to a no downwash extreme. And in  
22 the middle you would have a weighting of the two effects.

23           The evaluation testing has been--is done actually  
24 not only by the studies cited in the Hanna, Briggs, Chang  
25 paper, but also in a recently conducted field study that's

1 going to be described more in documents submitted to the  
2 docket. Also in Supplement B we had four SO<sub>2</sub> monitors around  
3 the site with such heat releases. And the default modeling  
4 approach with full downwash did overpredict substantially.

5           This liftoff approach had much more accurate  
6 predictions. We used satellite imagery to document the  
7 buoyancy flux. For example, look at this. This was a plume  
8 from this facility.

9           You're going to see in the next slide a thermal  
10 infrared image with an intense heat from--they're not really  
11 pollutants, but they're emitting heat. You also see that the  
12 building temperature is much higher than the ambient. So you  
13 have lots of heat being exuded. You can't see them. You  
14 can't see this visually, but you can see it with the right  
15 kind of camera. So this effect is imparted into the liftoff  
16 postprocessor.

17           So to summarize issues with written comments  
18 coming, I'd like to bring back the issue of when stacks are  
19 touching or nearly so, I don't think we have a nationwide  
20 consistency of treating those as merged. But there is a  
21 Clearinghouse record--and I think that should be 91-Roman  
22 numeral II, rather than 11. The issue was addressed in a  
23 Clearinghouse record such that stacks that are within 1  
24 diameter should be modeled as fully merged, so I hope that  
25 can be a national consistency issue that EPA addresses.

1           Partial plume rise enhancement, this is going to  
2 be--this is Supplement C in the presentation. Briggs had an  
3 explanation in various classic textbooks, '75, '84,  
4 *Atmospheric Science and Power Production* or something like  
5 that, where he has an algorithm for stacks in a row with  
6 partial plume rise enhancement. That is--we've accommodated  
7 that in a procedure we call AERLIFT.

8           And finally, we have the other procedure for plume  
9 rise models for exhaust streams with substantial moisture  
10 that we call AERMOIST. And in that case the relative  
11 humidity is a factor. What we do there is we preprocess the  
12 hourly emission input so that the effective temperature input  
13 to AERMOD is actually modified to accommodate the heat of the  
14 condensation due to moist plumes. That comes from basically  
15 a model that's been validated in Germany, and the details are  
16 going to be provided to the docket. And they are also in  
17 Supplement D to this presentation.

18           So finally, the AISI recommendations for source  
19 characterization effects to EPA would be that Appendix W  
20 should further clarify that the case by case source  
21 characterization refinements should not be treated as  
22 alternative model options, but should be allowed with  
23 adequate documentation as normal, more accurate source  
24 characterization.

25           And besides the urban characterization for large

1 industrialized areas that Appendix W does briefly mention,  
2 we'd like it to be mentioned more clearly, maybe in the model  
3 implementation guide.

4 I mentioned the plume liftoff issue for fugitive  
5 heat releases on buildings that affect downwash treatment,  
6 plume merging, not only due to stacks that are touching or  
7 nearly so--that should be a no-brainer--but for stacks that  
8 are in a row that can have plume enhancement--that's a  
9 function of direction and other effects that AERLIFT accounts  
10 for--adjustments to plume rise due to their moisture content.

11 So each of these issues can be addressed by source  
12 characterization approaches that improve the hourly emissions  
13 input. AISI requests these techniques be acknowledged as  
14 viable source characterization options in Appendix W and  
15 perhaps the AERMOD implementation guidance document. And my  
16 15 minute buzzer has gone off.

17 Mr. Bridgers: You did have one more slide,  
18 didn't you?

19 Mr. Paine: Oh, that's just the rest of  
20 the---

21 Mr. Bridgers: (interposing) The supplements.

22 Mr. Paine: It will be on the web site.

23 Mr. Bridgers: And I know some of you saw me  
24 running about just a minute ago trying to do some stuff over  
25 there, and it's proof positive of government bureaucracy. I

1 had to get a contractor to come dial a telephone number. So  
2 we once again acknowledge Bob Paine.

3           Mr. Paine:           Thank you. Low wind speed  
4 issues have been brought up this morning as important  
5 improvements in AERMOD. I've been talking about that for  
6 several years. But now we're going to augment the emphasis  
7 on the evaluation databases of lower level sources to tall  
8 stack databases. And in fact this study has been written up  
9 in a technical paper that has been accepted for publication  
10 by the *Journal of the Air & Waste Management Association*, so  
11 that should appear later this year in print. I would also  
12 like to acknowledge the sponsorship on this study to EPRI and  
13 the Lignite Energy Council.

14           I'm going to talk about the background for this  
15 study, but I already sort of have. It's basically augmenting  
16 the emphasis on lower level sources to tall stacks, a  
17 description of the evaluation databases, the modeling options  
18 evaluated, and the evaluation results and the overall results  
19 and conclusions.

20           Now, before AERMOD, you know, model input wind  
21 speeds were never allowed to go below 1 meter per second.  
22 And as part of AERMET, our committee was--thought we could  
23 conquer the world, and so we decided to go lower than 1 meter  
24 per second. But we are straining the steady state model  
25 plume assumptions, which tend to break down as winds go

1 toward calm.

2           But AERMOD, in any case, does allow arbitrarily  
3 low wind speed inputs down to the instrument threshold, which  
4 seem to be getting lower and lower these days with ice-free  
5 instrumentation and sonic anemometry. So that's another  
6 thing that we didn't foresee in the '90s maybe.

7           So in an attempt to account for this effect with  
8 plume meander, it's a random plume and a coherent plume  
9 weighting scheme that's shown in this slide, which is  
10 borrowed from a Joe Scire presentation a few years ago  
11 whereas we have a wind blowing from the south here in this  
12 figure and the stack at 0.0 in the center.

13           And the coherent plume is predicted as the usual  
14 Gaussian plume equation and its concentration is usually much  
15 higher than the so-called meander or pancake plume, which I  
16 believe LowWind3 tends to chop off the bottom half of that  
17 pancake such that we look at upwind concentrations. But  
18 that's basically--the weighting between these two extremes is  
19 what is done by the meander algorithm in AERMOD.

20           Okay. What did we bring up in our studies from  
21 EPRI and UARG in 2010? We realized that friction velocity,  
22 which is an important output of AERMET, was underestimated in  
23 very low winds by up to a factor of 2. This resulted in  
24 several compound issues in stable conditions--an under-  
25 prediction of the level of turbulence, the mechanical mixing

1 height, and other related issues were underestimated, which  
2 led to too concentrated of a plume in stable conditions.  
3 Perhaps even the plume meander weight was possibly under-  
4 estimated.

5           So we recommended changes in both the friction  
6 velocity formulation and also recommended a change to the  
7 minimum lateral plume spread in the AERMOD dispersion model  
8 to help account for the additional meander you would expect  
9 in very light winds.

10           And I think this has already been explained. EPA  
11 started to accommodate these changes in various versions  
12 listed in the second bullet and finally in this version have  
13 come up with recommendations for a final ADJ\_U\* in AERMET and  
14 a LowWind3 option in version 15181. There have been previous  
15 webinars, and of course today's presentation has provided  
16 basic recommendations to adopt these changes.

17           I would concur that the proposed changes should be  
18 made a permanent part of the model. I also want to advise  
19 EPA that due to hundreds of sources being modeled for SO<sub>2</sub>  
20 these days, we may not be able to wait until next spring.  
21 And we hope that we can get an interim approval process in  
22 place for approval of these options now because modeling is  
23 happening right now. And it's very critically important to  
24 have these improvements accommodated in the model.

25           And I want to talk now about the findings from

1 tall stacks, which are a critical part of the SO<sub>2</sub> modeling  
2 that's being done nationwide. Two databases we looked at:  
3 North Dakota Mercer County with rolling terrain, one elevated  
4 monitor and five monitors in all, four years of data; and we  
5 talked about--I've seen Gibson before. We happened to focus  
6 on three specific years with four monitors. It's a tall  
7 stack, flat terrain database. Both of these databases use  
8 the data from a 10 meter tower to evaluate standard  
9 airport-type meteorological input.

10           We tested four options of AERMET and AERMOD in  
11 default mode. This was model version 14134. Then we added  
12 the beta U\* option, but not any changes to AERMOD. And then  
13 we added changes to the minimum sigma-v with the LowWind2  
14 option in the last two options tested with a 0.3 and a 0.5  
15 meter per second minimum sigma-v.

16           We have produced various statistical tests which  
17 are going to be discussed in that *JAMA* paper. And I'm going  
18 to only have time really to present the 99th percentile peak  
19 daily 1 hour max statistics during the little bit of time I  
20 have here. We did Q-Q plots as well as review of meteoro-  
21 logical conditions associated with peak predictions that I  
22 will mention briefly today.

23           The key thing on the North Dakota database is the  
24 fact that we have these five monitors that are sort of these  
25 square pink or purple objects here. One of them is circled

1 in high terrain, the DGC 17 monitor. Sources that were near  
2 these monitors were the Antelope Valley station and the Great  
3 Plains Synfuels Plant, the red triangles.

4           The other four monitors were in relatively low  
5 terrain, but this one monitor was in higher terrain. Notice  
6 that the DGC 16 monitor was the closest to these sources, and  
7 it has a little bit of a different response to the models  
8 than the other three in low terrain. Backing up, we also  
9 modeled more distant sources, maybe more distant than the new  
10 guidance would say because these are approaching 50  
11 kilometers away.

12           Okay. Now I'm going to dwell on this slide for a  
13 little while because we take those four modeling options--  
14 from left to right, it's default AERMET, default AERMOD. The  
15 yellow is AERMET with beta U\*, but no sigma-v LowWind2  
16 options. Then we add the sigma-v minimum of 0.3 and 0.5 as  
17 the green and the purple bars.

18           We see that for--DGC 17 is the one that's next to  
19 the--second from the right. That shows a large--with that  
20 elevated terrain, that shows a large response to the beta U\*  
21 option. In the other applications in terrain, I've noticed  
22 large responses. The other models show--the other monitors  
23 show no real response to the beta U\* option because the peak  
24 predictions are in daytime conditions, but some response to  
25 the minimum sigma-v options.

1           The DGC 16 had a little bit higher overprediction.  
2 By the way, let's go back to that. Notice that on the  
3 y-axis, all the models are predicting at or above a 1.00  
4 model to monitored ratio. So all overpredicting were nearly  
5 unbiased. But we see that adding these low wind options  
6 improves the model performance, especially with the beta U\*  
7 option for the monitor in high terrain. The low wind  
8 options--the LowWind2 options result in somewhat incremental  
9 performance improvements.

10           Also, we noticed for that elevated monitor that  
11 the meteorological conditions observed for the highest  
12 concentrations were more aligned with the predicted  
13 conditions when we added that ADJ\_U\* option because without  
14 it, all--almost every high hour was predicted to be at night.  
15 But several high hours were predicted to be during the day--  
16 were monitored to be during the day. With the ADJ\_U\* option,  
17 the predicted conditions were more in line with the observed  
18 conditions for the highest concentrations.

19           So the overall results from this database were  
20 that the AERMOD default predicted the highest--overpredicted  
21 substantially at the elevated monitor. The low wind options  
22 did improve the performance at all monitors. It turns out  
23 that even a minimum sigma-v of 0.5 was still relatively  
24 unbiased, did not underpredict.

25           The other database is Gibson and the monitors are

1 the four monitors with the yellow triangles. This is a very  
2 flat terrain, tall stack database. Similar type of  
3 appearance of the results here, but we see that with the flat  
4 terrain, there is no real response to the ADJ\_U\*. In fact  
5 with Mount Carmel, the beta U\* option has a high wind side  
6 effect. Sometimes high winds cause the predictions to go up  
7 with the ADJ\_U\* option.

8           But by and large they were pretty much unaffected  
9 by the ADJ\_U\* option--this is the yellow--and a little bit of  
10 an effect with the LowWind2 option. Certainly the low wind  
11 options did not do too much to this database, improved it  
12 slightly.

13           So the overall evaluation results again were  
14 relative insensitivity to the model performance on the basis  
15 of low wind options because the concentrations were predicted  
16 and observed during daytime conditions--there will be more  
17 about that in the next presentation--relatively insensitive  
18 to, you know, anything you do with stable conditions and a  
19 little bit of sensitivity to the minimum sigma-v. But since  
20 the winds causing the highest concentrations were a little  
21 bit too high, higher than those very low wind speeds, not  
22 much of an effect. We still had, though, a general  
23 overprediction from 10 to 50 percent.

24           Overall conclusions would be that the--and as I'm  
25 going to say at the bottom, we haven't yet conducted or had

1 time to do any further testing on the new release, but as  
2 Roger indicated, we would not expect much of a change from  
3 what we've seen so far with the LowWind3 option.

4 Tall stacks would have the lowest effect with  
5 these low wind options with high terrain. There's a minor  
6 effect only with flat terrain. But the effect in elevated  
7 terrain is very profound, especially as you get very high  
8 terrain. And so this ADJ\_U\* option will be extremely  
9 important to put into the model and to have it as a default  
10 option.

11 We note that the LowWind3 option only has a  
12 minimum sigma-v of 0.3, so the fact that we still didn't get  
13 underprediction at 0.5 would mean that the LowWind3 option in  
14 version 15181 is likely to be still slightly conservative.  
15 The low wind options also improved the consistency of the  
16 prediction of the meteorological conditions associated with  
17 the highest observed and the highest predicted concen-  
18 trations.

19 So we do believe that the proposed options will  
20 result in more accurate AERMOD predictions and we would like  
21 to have the ability to use these options very soon in routine  
22 modeling assessments. I think that is the last slide. I  
23 gave you 45 seconds.

24 Mr. Bridgers: Thanks, Bob. So once again I'd  
25 like to introduce to the podium Bob Paine.

1                   Mr. Paine:                   Thank you. These are issues  
2 related to--maybe it's an issue that people have not been  
3 generally aware of, but you can also call this "Beware of the  
4 Penetrated Plume." And this work followed from work we did  
5 in the previous--the low wind study, but it's also related to  
6 other interactions I've had with other investigators, this  
7 time Down Under, as you'll see.

8                   I'm going to talk about the overview of the  
9 issues: available diagnostic tools that most people don't  
10 have access to that have allowed us to find out what's really  
11 happening with the predictions in tall stack releases of  
12 AERMOD, available model evaluations that have shed more light  
13 on why this is an issue of concern, the evaluation results,  
14 and conclusions.

15                   Now, we've noted--we've done a lot of modeling  
16 applications with tall stacks and we noticed that in many  
17 cases the highest one hour predictions--and this is obviously  
18 applicable to SO<sub>2</sub>, because that's a one hour standard--we  
19 keep seeing daytime conditions with low mixing heights and  
20 low winds leading to the highest predictions, so that's  
21 interesting.

22                   Observations tend to indicate that, well, the peak  
23 predictions for tall stacks are expected to be during the  
24 daytime, but they're not always during low mixing heights.  
25 They're randomly scattered between low and high mixing

1 heights. So why is the model tending to favor just low  
2 mixing heights rather than a variety of mixing heights?

3           We have the ability, and I'm going to show an  
4 example, of debugging output from AERMOD that indicated that  
5 the cause of these highest predictions is due to plumes that  
6 are actually emitted into the stable air aloft initially, but  
7 somehow reach the ground within a relatively short distance,  
8 maybe 5 kilometers, maybe a little bit more than that.

9           And that condition is associated with--and I'm  
10 going to show an example of the three plume treatment in  
11 AERMOD, but the penetrated plume is the plume that is  
12 injected into the stable layer aloft. Previously that plume  
13 was totally ignored. In the ISC model the prediction of that  
14 plume was assumed to be zero.

15           Now, believe it or not, it's actually controlling  
16 the design concentration in AERMOD for tall stack releases in  
17 flat terrain. Obviously in complex terrain it's stable  
18 conditions, but this is for simple terrain, tall stacks in  
19 AERMOD.

20           This picture I'm sure is from several training  
21 figures that have been provided. Imagine here that the top  
22 dashed line is the convective mixing height; the lower dashed  
23 line is the mechanical mixing height. The direct material is  
24 assumed to be material that does not really interact or bump  
25 up against the mixing height in convective conditions and it

1 is mixed to the ground directly, no interaction with the  
2 mixing lid.

3           The indirect material does not have enough  
4 momentum or buoyancy to penetrate into the stable air aloft,  
5 but it hangs up like a balloon on a ceiling against the  
6 mixing lid and then eventually mixes down. But the  
7 penetrated plume gets up into there and would not really be  
8 expected to get down to the ground very rapidly.

9           Another depiction shows that the model treats  
10 these plumes as separate--almost separate releases that has  
11 different calculation do loops for--accounting for their  
12 impacts but then adds them all together. So the part of the  
13 plume above the inversion layer or into the inversion layer  
14 is related to the part--you know, the mass that's allocated  
15 to the prediction is the total mass emitted times the  
16 penetration fraction. And when that penetration fraction  
17 gets toward 1.0, that plume becomes very important in the  
18 calculation.

19           Here's just a visualization of what you might  
20 envision as a penetrated plume being. It's daytime. The  
21 plume goes up and it hits the stable air and it just sort of  
22 goes off to the left. It doesn't really mix down to the  
23 ground, visually at least in the realm of this picture.

24           Now, you probably can't see this, but I'm going to  
25 point out we have this debugging output that actually comes

1 from a--the bottom indicates we had actually downloaded this  
2 version of AERMOD, version 14134, available for download at  
3 the EPRI web site where you can get other things like EMVAP.  
4 It has a lot of useful debugging information.

5           The top part that's circled in red is the  
6 mechanical and convective mixing height. In this case--I'll  
7 just read off the number--the convective mixing height, which  
8 is a little higher than the mechanical mixing height, is 256  
9 meters. We have a final plume height--what happens for each  
10 hour is that the controlling receptor is listed for each  
11 source model, and all sorts of information about what's  
12 happening at that receptor is displayed.

13           We know what the final plume height is. The final  
14 plume height is about 355 meters versus a convective mixing  
15 height of 256 meters. So the plume gets up to be about 100  
16 meters into the stable air aloft. But the dominant plume is  
17 identified as the penetrated plume. We know that because the  
18 debugging information polls that it's--is it direct, is it  
19 indirect, is it penetrated. The penetrated wins because it  
20 has 90 percent of the mass. And that hour turned out to be  
21 the highest predicted hour for that whole simulation.

22           So we can identify with this debugging output what  
23 is causing the highest predicted concentrations. That's not  
24 usually displayed in the version of AERMOD that comes out of,  
25 you know, EPA. This is additional debugging information, but

1 we have lots of evidences of what is happening.

2           Now, I've been talking over the years with Dr. Ken  
3 Rayner of Perth, Australia, who likes to dabble with code.  
4 And if he doesn't understand anything about AERMOD, he would  
5 dicker with the code and change it. And he was very  
6 interested in using AERMOD and CALPUFF and trying to get the  
7 best model, and he had observed data from tall stacks and  
8 simple terrain. And he had a presentation with a link here  
9 that you'll be able to download when you download this whole  
10 presentation.

11           The map here shows that in western Australia there  
12 was a source, Muja power station, which is the lowest red dot  
13 there, and the Shotts monitor, which is about 8 kilometers  
14 from--circled in blue is a monitor where there was a model  
15 evaluation conducted, relatively low terrain between the  
16 power plant and the monitor.

17           The Q-Q plot that Dr. Rayner provided shows both  
18 the AERMOD with the penetrated plume and then with the  
19 penetrated plume disabled because he went into the code and  
20 disabled it. He shows about a 50 percent overprediction at  
21 that monitor, and with--you know, with obviously the  
22 penetrated plume disabled he can show that the difference is  
23 such that you need some of the penetrated plume there, but it  
24 makes a big difference and it's really the cause of the over-  
25 prediction.

1           So he had comments in his presentation that he  
2 believed that AERMOD mixes the plume to the ground too fast  
3 because it has to do everything in one hour, whereas a  
4 penetrated plume might be looked upon as a multiple hour  
5 phenomenon. The plume is injected above the mixing lid, but  
6 somehow it gets down to the ground as if it mixes down into  
7 the convective mixing layer in the same hour, so is all that  
8 just being squeezed by a steady-state model.

9           The other issue is the mixing height is assumed to  
10 be constant, but it's obviously changing within the hour, so  
11 that's another issue with a steady state model. There's a  
12 lot of constraints here. So he found an overprediction on  
13 the order of 50 percent for his case.

14           Let's go back to Gibson. We did debugging on that  
15 too. Isn't it interesting? We're also getting about a 50  
16 percent overprediction due to a penetrated plume for this  
17 database--consistency.

18           So actually, I'm going to finish quickly here.  
19 We're seeing at least for these two databases a consistent  
20 pattern for AERMOD peak predictions for tall stacks in simple  
21 terrain. We can identify with our debugging output--or Ken  
22 Rayner can identify with his debugging, his code changes, the  
23 penetrated plume is causing it. It may be reaching the  
24 ground too fast, and maybe it's due to sigma-z. It's  
25 something that would warrant additional EPA review.

1           Now, Appendix W does indicate in various places  
2 that the AERMOD model uncertainty is in the order of 10 to 40  
3 percent. Maybe we can extend that to 50 percent based on  
4 this issue. I would say that I would be happy when the model  
5 is only 50 percent uncertain because that's well within the  
6 factor of 2.

7           But with these SO<sub>2</sub> NAAQS demonstrations, if you  
8 model--if the standard is 196.5 micrograms per cubic meter.  
9 If you model 200, is that enough to say that you know there's  
10 a violation of the NAAQS? Absolutely not. You could be 50  
11 percent over the NAAQS with your model and not be able to say  
12 that you know there's a NAAQS violation, especially if the  
13 controlling concentration is caused by this issue.

14           We hope to be able to review the new model to see  
15 if this issue is still present, but I just wanted to alert  
16 the user community to this issue with AERMOD. And that's--  
17 okay, I'm done.

18           Mr. Bridgers:           Well, Bob, you've got 3 more  
19 minutes if you---

20           Mr. Paine:           (interposing) That's okay.

21           Mr. Bridgers:           So at this point I'm going to  
22 call to the podium Richard Hamel, not Bob Paine. And so,  
23 Rich, if you'll identify yourself, you're good to go here.

24           Mr. Hamel:           I have to wait till I see the  
25 first second tick off, okay. I'm not Bob Paine, but I am

1 wearing the same shirt today. But I am Rich Hamel. I'm a  
2 senior air dispersion modeler at Environmental Resources  
3 Management or ERM in the Boston office.

4           And what I'd like to talk to today is the proposed  
5 move to ARM2 as the Tier 2 method for refining the NO<sub>x</sub> to NO<sub>2</sub>  
6 conversion in AERMOD and take it with a bit of practical  
7 approach to what does it really give us when we are trying to  
8 model compliance, not only with the NAAQS, but also hoping to  
9 get a model result that would have our impacts below the  
10 significant impact level so we don't have to do cumulative  
11 modeling.

12           Okay. So I'm going to talk about a quick overview  
13 of the old--ARM and the old ARM2, which is really the ARM2  
14 with a minimum NO<sub>2</sub> to NO<sub>x</sub> ratio of 0.2, a little bit about  
15 ARM2 in the proposed revision, a comparison of the Tier 2 and  
16 Tier 3 options for NO<sub>2</sub> conversion, what are some of the  
17 benefits or changes in the proposed ARM2, what are some of  
18 the issues, and then just a quick word about Tier 3.

19           And you can see there the molecule for NO<sub>2</sub> and the  
20 chemical bar equation, ONO, or as we all said the first time  
21 we tried to model an emergency generator against the new NO<sub>2</sub>  
22 standard and saw the results, "Oh, no."

23           EPA allows us three different tiers. We know this  
24 from our NO<sub>x</sub> modeling experience. Tier 1 is just assuming  
25 the full conversion of NO<sub>x</sub> to NO<sub>2</sub> through modeling. Tier 2

1 is the ambient ratio method based on analysis of ambient  
2 monitoring data. That's the old ARM and ARM2, and then, of  
3 course, Tier 3, which is refinement based on the oxidation of  
4 nitrogen oxide by ozone to NO<sub>2</sub>, and that's the OLM and PVMRM  
5 methods by the formula that you see there below.

6           Where did ARM originally come from? Originally it  
7 was designed outside the realm of air dispersion modeling and  
8 there was a decent amount of study done. But when annual NO<sub>2</sub>  
9 modeling came around, the 90th percentile of the average  
10 annual NO<sub>2</sub> to NO<sub>x</sub> monitoring data, as it was known at the  
11 time, was used and that established a ratio of 0.75. When  
12 the 1 hour NO<sub>2</sub> NAAQS came around, that wasn't considered a  
13 conservative enough representation for short term modeling.  
14 So the ARM ratio was set to 0.8.

15           So enter ARM2. Mark Podrez in 2013 working for  
16 API did a study of all of the NO<sub>2</sub> monitors in the United  
17 States and some elsewhere, which amounted to 580 monitors,  
18 looking at ten years' worth of data from 2000 to 2010, which  
19 gave a data set of over 5,000,000 hours to look at and the  
20 ambient ratios of NO<sub>2</sub> to NO<sub>x</sub>. Based on that data, he  
21 developed a 6th order polynomial curve and found that this  
22 curve fairly consistently matched the ratio of NO<sub>2</sub> to NO<sub>x</sub>,  
23 based on the amount of NO<sub>x</sub> in the ambient air.

24           So it was really designed as a simpler alternative  
25 to Tier 3 refinements, a way to get a Tier 3-like effect with

1 a little more conservatism than OLM or PVMRM without having  
2 to deal with the whole issue of finding in-stack ratio,  
3 documentation for each of your sources, background ozone  
4 data, and things like that, of course the advantage being  
5 there are no additional inputs needed. You simply have a  
6 look-up table against the curve at each of your receptors at  
7 each of the hours. It would run faster than the Tier 3  
8 refinements and also wouldn't require case by case approval,  
9 meaning not only less time to process, but less time to  
10 review.

11           And this is the original ARM2 curve against all of  
12 the hours that were posted. And you can see that the curve  
13 for the most part contains all of the hours that were looked  
14 at during the study with some outliers at the top and results  
15 in ambient ratios anywhere from less than 0.1 at very high  
16 NO<sub>x</sub> concentrations of 600 ppb and above, all the way up to a  
17 1 to 1 ratio, and this is in very low cases, although there  
18 was also some documentation that some of those cases were  
19 very specific situations that caused such a close conversion.

20           So ARM for AERMOD was added as a beta option in  
21 version 12345 with an upper limit of 0.9 and a lower limit of  
22 0.2, although those could also be set manually--those are the  
23 defaults--required a case by case approval for use in permit  
24 modeling.

25           And the EPA webinar last year around the release

1 of AERMOD version 14134 recommended that if your Tier 1  
2 modeling results were less than 150 to 200 ppb, then the use  
3 of ARM2 should be expedited in terms of the approval process.  
4 If you had initial results higher than that, then a study of  
5 the in-stack ratios of the sources being considered was  
6 required. And also, special consideration was given to  
7 higher thresholds in situations where background NO<sub>2</sub> was very  
8 high or if background ozone layers were very high, although  
9 what exactly constituted high was not really clearly defined.

10           So old ARM2 versus Tier 3 OLM and PVMRM--and  
11 remember, again, that Mark Podrez' research is really sort of  
12 based around a comparison of those aspects. He used  
13 sensitivity modeling around the 2004 MACTEC report for single  
14 and cumulative source scenarios and expanded upon those and  
15 found that at low concentrations--and now we're talking in  
16 terms of micrograms per cubic meters--ARM2, OLM, and PVMRM  
17 all predicted NO<sub>2</sub> to NO<sub>x</sub> ratios around 0.9.

18           At the higher impact levels, greater than 300  
19 micrograms per cubic meter, all of the different methods had  
20 ratios between 0.2 and 0.4, and ARM2 was consistently a  
21 little more conservative than the other two.

22           At some very high impacts, it was found that PVMRM  
23 occasionally had ratios higher than ARM2, and that may have  
24 been because of a formulation error that would have been  
25 identified and will be addressed with the updated PVMRM2.

1           So updating the ARM2 development report. For a  
2 project that we're doing and we're seeking approval of the  
3 ARM2 method for refinement, which just happens to be the one  
4 that George was talking about in terms of the Model  
5 Clearinghouse, an additional analysis sort of extending what  
6 Mark had done in the original ARM2 research was undertaken.

7           All monitors in the United States were looked at  
8 between 2001 and 2012 with a focus on monitors that were  
9 similar to the project site, which was a rural-ish project  
10 site, so some of the urban monitors were removed. The  
11 resulting data set still had more than 4,000,000 data points  
12 and the number of observations increased as the years go on.  
13 You can see that in 2001 there were less than half as many as  
14 there were in 2009 (sic).

15           Ultimately, ARM2 was approved. It did get through  
16 the Model Clearinghouse very quickly once it got there, but  
17 it took nearly a year to get the data and a lot of back and  
18 forth with the regulating agencies to get that all put  
19 together, ultimately with a minimum NO<sub>2</sub> to NO<sub>x</sub> ratio of 0.54,  
20 which as it turned out is higher than the recommended for the  
21 proposed default now. So if we had waited a year, we could  
22 have gotten it a little lower apparently.

23           Here are some of the observed data points from  
24 that research. These are color coded by groups of hours.  
25 Because the hours were densely packed, it wasn't possible to

1 put a single dash for every hour, so the colored hours are  
2 groups of hours.

3           And you can see that if we look at the data in  
4 three year blocks, from 2001 to 2004, the data mostly fit the  
5 curve, the ARM curve being the red line that goes down across  
6 to the right. And there were some outlying hours above the  
7 curve all the way from 100 to 600 micrograms per cubic meter.

8           Moving to the next three years, we see roughly the  
9 same pattern, although the outliers tend have fallen a bit  
10 farther down towards the curve. And looking at the most  
11 recent four years, you see that not only have most of the  
12 outliers fallen out, but the general curve now appears to  
13 even perhaps be a little conservative compared to the  
14 predominant amount of observed hours.

15           The proposed revisions would replace the old ARM,  
16 which was, again, 0.8 in the modified version of ARM2. And  
17 it's not really a modification of the curve. The  
18 modification is that the new ARM2 would have a default of 0.5  
19 instead of 0.2, which is really tied into the Tier 3 refine-  
20 ments that use 0.5 as your standard in-stack ratio.

21           And a review of the current EPA in-stack ratio  
22 database, which has 2,323 entries, show that of those entries  
23 about 4.5 percent have in-stack ratios greater than 0.5,  
24 about 23 percent have those greater than 0.2, and then the  
25 other 77 percent are below 0.2. So the 0.5 is really

1 protective of just about every--or a very high percentage of  
2 the in-stack ratios that are found in the database, 95  
3 percent in fact.

4           So one of the things I want to do is look at,  
5 well, if I'm modeling this, what does this really mean to me?  
6 So I considered a concept of compliance ranges, meaning if I  
7 get a certain NO<sub>x</sub> concentration--or what NO<sub>x</sub> concentration do  
8 I need that's greater than the standard of 188 micrograms per  
9 cubic meter that actually would fall into a range where the  
10 conversion would put me below 188 and therefore in compliance  
11 when I don't consider ambient background or other sources and  
12 stuff like that.

13           So the old ARM, using the 0.8 conversion, would  
14 give you a result--if your model concentration landed from  
15 189 to 235, you end up with a number below 188. The proposed  
16 ARM2 improves on that, moving the compliance range up to 376,  
17 which again is an improvement over the old ARM in that way  
18 compared to the current ARM or the beta ARM2 of 0.2. You can  
19 see that the compliance range was actually much higher, all  
20 the way up to 940, because up at that point you're getting an  
21 in-stack ratio of 0.2, or a conversion ratio of 0.2, so quite  
22 a difference.

23           So what are some of the issues, however? Well,  
24 ARM2 sometimes provides higher results than the old ARM did  
25 simply because the curve exceeds 0.8 anytime your NO<sub>x</sub> concen-

1 tration is greater than--or sorry, less than 149 micrograms  
2 per cubic meter. Now, you're already below the standard at  
3 that point, but again, that's not considering ambient  
4 background. And if you have an ambient background that's up  
5 in the range of 50 micrograms per cubic meter, this can be  
6 significant. You may find compliance using ARM, but not find  
7 it using ARM2.

8           The same problem or issue--I won't call it problem  
9 necessarily--when considering SIL modeling where an NO<sub>x</sub>  
10 concentration, for example, of 9.4 if you're using ARM, gets  
11 you to the 7.5 SIL, whereas a NO<sub>x</sub> concentration of 8.4 would  
12 be over the SIL using ARM2 because the conversion ratio would  
13 be higher than 0.8.

14           Now, you are allowed in theory to ask for a lower  
15 minimum ratio with your ARM2, but there are some problems  
16 there that actually might make it more difficult to gain  
17 approval than getting in-stack ratios approved for Tier 3.  
18 And the issue there is with Tier 3, you deal on a stack by  
19 stack basis. So if you have ten sources of varying kinds,  
20 you can negotiate an in-stack ratio on each of those sources.

21           It's unclear based on ARM2 how you would negotiate  
22 a lower minimum when you may have several different sources--  
23 one has a 0.2, one has a 0.1, one has a 0.5--different  
24 operating characteristics, different percentages of the  
25 overall emissions. So it's unclear exactly where that goes.

1           Because I'm running out of time, I'm going to just  
2 skip the quick summary of the Tier 3 message and go to the  
3 conclusions. So again, ARM2 was originally conceived as a  
4 simpler alternative to a Tier 3, but that's no longer the  
5 case. That was really a replacement for the ARM method.

6           You have a greater compliance range than ARM did,  
7 but less than the beta version does. In some cases--with 30  
8 seconds to go--ARM provides better refinement or more  
9 refinement than ARM2 did when you're modeling against the  
10 SIL. And then there are questions as to how does one justify  
11 a lower minimum in the case of a site with a variety of  
12 sources.

13           And we see that the ambient NO<sub>2</sub> to NO<sub>x</sub> curve seems  
14 to be decreasing, either based on less ambient ozone or other  
15 factors or maybe because we removed the urban monitors. So  
16 the question is does that need to be updated at every certain  
17 amount of time or perhaps a study done between an urban curve  
18 and a rural curve. And that will be it. Thank you for your  
19 time.

20           Mr. Bridgers:           Rich, I was actually going to  
21 give you a couple of extra seconds because of the computer  
22 snafu.

23           (Pause.)

24           Our apologies, a technical issue with Microsoft  
25 Office. It decided to make my screen twice as large, and

1 it's not simple to make it the same.

2 (Pause.)

3 So with the technical snafu partially fixed, Cathe  
4 is going to actually talk from her slides here up there, so  
5 Cathe, the podium is yours.

6 Ms. Kalisz: Good afternoon, everyone. I'm  
7 Cathe Kalisz with the American Petroleum Institute or API.  
8 And this presentation provides an overview of some ongoing  
9 API work that's looking at AERMOD with an alternate NO<sub>x</sub>  
10 chemistry scheme, an alternate to the Tier 3 NO<sub>2</sub> options.

11 So the chemistry scheme that we're using comes  
12 from the Atmospheric Dispersion Modeling System or ADMS.  
13 Some of you may be familiar with it. I think Chris  
14 referenced it in one of his presentations. And it's commonly  
15 used in Europe.

16 This work was prompted by a modeling study by one  
17 of our API member companies who wanted to compare the NO<sub>2</sub>  
18 performance of the ADMS model and AERMOD. And the results of  
19 that study suggested that ADMS chemistry might have better  
20 predictive skill than the NO<sub>2</sub> options in AERMOD, and so that  
21 prompted this project.

22 So what you'll see on the slides in this  
23 presentation compare--when I say the current version of  
24 AERMOD, I'm talking about 14134 that's been coded with an  
25 ADMS chemistry option and then we're comparing those to the

1 Tier 3 option. And so we will be updating these evaluations  
2 to look at new AERMOD 15181 and the new PVMRM2.

3           So this is some basic information about the ADMS  
4 chemistry module that we're using. The work that we've done  
5 uses what's referred to as the standard ADMS module, a little  
6 bit more about that in a minute. So for inputs you have your  
7 basic source emission rates, but you're also inputting the  
8 background values for NO<sub>2</sub> and ozone.

9           And so the model works by calculating the NO<sub>x</sub> and  
10 NO<sub>2</sub> concentrations at the receptors, and then it also  
11 calculates at each receptor the weighted, by the source  
12 contribution, mean travel time of the pollutant. And it adds  
13 the background concentrations and then applies the two  
14 chemical reactions that you see over the mean travel time.

15           So with respect to chemistry, the two key  
16 differences between the ADMS chemistry module and the Tier 3  
17 options are that it includes reactions for both NO ozone  
18 titration and NO<sub>2</sub> photolysis. And it also accounts for  
19 chemical reaction rates.

20           I was asked by someone, you know, do you see any  
21 difference in model run times with this, and I guess this is  
22 qualified that for the work we've done thus far there's been  
23 no appreciable difference in the run time. However, we  
24 haven't tested it with a data set that has hundreds of  
25 sources, so that may change as we do more work.

1           This is just a further comparison of the ADMS and  
2 the AERMOD options. We've talked about the chemistry. One  
3 other thing I'll point out, that with respect to ozone  
4 entrainment, ADMS has the standard version that we're using  
5 and then there's also a dilution and entrainment option. So  
6 the standard ADMS works like OLM, and that's what we used for  
7 the work you're going to see.

8           So in our evaluations we used five data sets.  
9 Everyone is probably familiar with the first three: the  
10 Palaau and the Empire Abo North and South data sets. We also  
11 included Wainwright. That was a small power plant on the  
12 Alaskan North Slope and then Prudhoe Bay, which was a  
13 drilling operation in Prudhoe Bay.

14           One adjustment that our consultant did make for  
15 Empire Abo and Palaau is after looking at the observations  
16 for the data decided to adjust the in-stack ratios from 0.2  
17 to 0.1 because it appeared to be more representative.

18           So these next series of slides--and I tried to  
19 cram a lot of information on them, given the ten minutes. So  
20 for each one you'll see in the lower right-hand corner  
21 there's a summary of the model versus observed results for  
22 AERMOD NO<sub>x</sub> and for the three NO<sub>2</sub> options. In the right-hand  
23 corner you'll see a correlation coefficient between the  
24 observed and modeled NO<sub>2</sub> to NO<sub>x</sub> ambient ratios and then of  
25 course the Q-Q plots for NO<sub>2</sub>.

1           So if you're looking at Palaau, ADMS, and PVMRM,  
2 you know, pretty similar in results. OLM has got higher  
3 predicted concentrations. If you look at the correlation for  
4 the ambient ratios, very good for PVMRM and ADMS.  
5 Unfortunately, they only go downhill from here, at least for  
6 the ratios.

7           Here is Empire Abo North, again, you know, all  
8 three options pretty much the same. PVMRM as you get to  
9 higher concentrations is overpredicting. If you look at the  
10 correlation, they're all positive. ADMS is the highest one  
11 there.

12           Here is Empire Abo South. And again, ADMS and OLM  
13 look about the same. PVMRM is a lot higher, although if you  
14 look in NO<sub>2</sub> technical support document, PVMRM2 has definitely  
15 made a difference in what you'll see here; also noted that  
16 for the ratio correlation PVMRM is negative.

17           This is Wainwright. With respect to the Q-Q  
18 plots, the PVMRM looks to be the best performer, although,  
19 you know, again, a negative correlation on the ambient ratio  
20 was calculated.

21           And lastly, Prudhoe Bay. One thing I'll mention  
22 is because the model was significantly underpredicting AERMOD  
23 for NO<sub>x</sub>, we're not sure, you know, how much you can compare  
24 these various options. We're not sure if this large  
25 difference for AERMOD was due to the fact that the monitor

1 was very close to the source or the drilling structures  
2 weren't characterized, but a definitive difference.

3           Here's just a summary of the comparisons for the  
4 five data sets. So for OLM, generally overpredicts the NO<sub>2</sub>  
5 concentrations, had the lowest proportion of values within a  
6 factor of 2. The ratio correlations were generally poor.

7           For PVMRM, it had the best mean NO<sub>2</sub> concentration,  
8 had a reasonably high proportion of values within a factor of  
9 2. However, the ambient ratio correlations were generally  
10 poor, and you had--I guess it was three out of the five data  
11 sets you had a negative correlation.

12           For the ADMS module, again, it generally over-  
13 predicts the NO<sub>2</sub> concentration. It had a reasonably high  
14 proportion of values within a factor of 2. Although they  
15 weren't the best, they did show the most consistent  
16 performance considering the correlation for the NO<sub>2</sub>/NO<sub>x</sub>  
17 ratios.

18           As part of the effort thus far, we also did some  
19 sensitivity modeling using a single source 12½ meter stack  
20 and looked at various met conditions. I've just provided one  
21 example here. This is for near-field NO<sub>2</sub> concentrations,  
22 stable early morning, moderate wind speeds. And you can see  
23 in the upper graph the NO<sub>2</sub> concentration. The ADMS and OLM  
24 are practically on top of each other and PVMRM is much higher  
25 predicted NO<sub>2</sub>. And yes, I won't even talk about the ratio

1 part, which looks even weirder.

2           What our consultant decided to do for fun was to  
3 take the inputs for this sensitivity run and put them in  
4 AERMOD 15181, and the results for PVMRM2 were similar. So  
5 this is definitely a scenario that we'll look at in our  
6 continuing work.

7           So these are the planned next steps for this work.  
8 We'll be adding the ADMS chemistry code into AERMOD 15181 and  
9 then we'll rerun the evaluations. We'll also do some  
10 additional sensitivity testing using single and multisource  
11 scenarios.

12           We're hopeful that we'll have--be able to do some  
13 evaluations using NO<sub>2</sub> data sets that come from a WRAP study.  
14 These are for drilling sites in Colorado and Alaska. These  
15 are probably the first data sets we have that have much more  
16 accurate emissions because for both of these studies, there  
17 were CEMS on the engines and the boiler stacks.

18           And then, lastly, a new task that--or the  
19 developer is going to consider making further modifications  
20 to their standard ADMS chemistry module to perhaps use a more  
21 simplified version of the ADMS dilution and entrainment  
22 module, maybe drawing on some of the parameters from PVMRM2.

23           And so in closing, I would just want to note that  
24 for this model development work and for the other development  
25 work that we've heard about and that we'll hear about during

1 this conference, I think it's very important that we have a  
2 process or a structure that provides for timely testing and  
3 implementation of model improvements.

4           Mr. Bridgers:           Thank you, Cathe, and thank you  
5 for dealing with the technical snafu here. I will let Bart  
6 identify himself, and this one should look pretty normal so  
7 you should be able to see it, I hope. It's all yours.

8           Mr. Brashers:           Hello, everyone. I'm Bart  
9 Brashers from Ramboll Environ. It used to be Environ before  
10 the recent merger. I've been the developer and keeper of the  
11 MMIF code for a couple of years now, since I think just after  
12 version 1 came out. And I should acknowledge my co-authors  
13 here, Ralph and Jason, who are both in the audience here, so  
14 you can go ask them questions afterwards. Here's a little  
15 bit of a show of the complex terrain that we're going to talk  
16 about today.

17           So switching gears completely and probably one of  
18 the--maybe one of the less controversial parts of the changes  
19 are this use of prognostic or numerical weather prediction  
20 code to drive AERMOD. So I thought I would give you the  
21 quick 30 second introduction to MMIF.

22           The Mesoscale Model Interface Program takes  
23 numerical weather prediction models like the weather research  
24 and forecasting model and its predecessor, MM5, converts  
25 their output to feed dispersion models, in historical order

1 CALPUFF, AERMOD, and SCICHEM. We're going to talk about  
2 AERMOD today.

3 MMIF supports AERMOD in three ways. You can go in  
4 the direct mode or AERMOD mode. I like to think of it as  
5 what's the model you're going to run next. AERMOD mode, you  
6 run WRF, you run MMIF, and it outputs the profile and service  
7 files, the PFL and SFC files, directly and you run AERMOD and  
8 you're done.

9 In AERMET mode you run MMIF and it outputs an  
10 on-site data file. You don't have to use a surface pathway  
11 at all. And then you run it through AERMET and then you run  
12 AERMOD. And it also supports up here--you can barely see it  
13 with this screen--in AERCOARE mode. It's nicely grayed out  
14 because that's for over water use and we're not going to talk  
15 about that today.

16 Here's the situation. It's the Monongahela River  
17 Valley in Allegheny County, southeast of Pittsburgh,  
18 Pennsylvania. There are several sources of SO<sub>2</sub> in the area.  
19 Mostly they put the industrial sources near the valley floor.

20 At Liberty High School up on the ridge on the hill  
21 there is an SO<sub>2</sub> monitor and has measured a number of SO<sub>2</sub>  
22 exceedances and NAAQS violations. So there's been a  
23 nonattainment area designated and where SIP revision is  
24 required. And Allegheny County came to us and asked us to  
25 help them out back when we were Environ.

1           So we had already done some initial work that  
2 looked like traditional AERMET with the station at Liberty,  
3 which has a met station as well with the closest airport as  
4 backup. It was not producing very accurate results, so we  
5 thought we would do a model shoot-out, throw all the models  
6 that we can at them and hope for a clear winner. So we're  
7 not going to talk today about SCICHEM or CALPUFF. And again,  
8 there's CALWRF, CALMET, and CALPUFF in the available there.

9           But we can run the observations through AERMET and  
10 into AERMOD or you can run via the WRF pathway through MMIF  
11 either directly to AERMOD or through AERMET. So that's a lot  
12 of potential options.

13           So we ran WRF for them. We ran five nested  
14 domains, started out with the 36 kilometer domain, which  
15 almost everybody who does CMAQ or CAM<sub>x</sub> work uses that same  
16 projection, and nested down 3 to 1 ratios all the way down to  
17 1.33 kilometers and 444 meters, which is the red box you see  
18 here. The usable domain, fortunately, is the blue box, which  
19 fully spans the nonattainment area in bright green and their  
20 sources.

21           There are a few sources that were outside of the  
22 nonattainment area. This one up here in Pittsburgh, which is  
23 actually outside of the usable part of the domain, screened  
24 out, so we didn't have to worry about it.

25           We ran a little pilot project for about a month.

1 It looked good, so we ran a production year of one year of  
2 WRF data to do the model shoot-out. And while we were doing  
3 that, we kept running WRF, so we have a three year period now  
4 to play with.

5           Here is the WRF terrain for that innermost 444  
6 meter domain. You can see WRF for numerical reasons has to  
7 smooth the terrain. But even in WRF's terrain here, you can  
8 see there's places, several places along in here, where the  
9 contour lines here are very close together. It's pretty  
10 steep. The difference between elevation between the valley  
11 floor and the tops of these crests here is around 130 meters.  
12 So it's not quite the Rocky Mountains, but because of the  
13 short distances, it's kind of getting close to complex  
14 terrain.

15           We can zoom in a little bit here on the two  
16 meteorological sites, observation sites. There's the Liberty  
17 monitor up there on the hill and the met station is very  
18 close to it. And you can--here's the regional county airport  
19 up there on the plateau also. And you can kind of guess by  
20 the direction of the landing strips that the predominant wind  
21 direction is sort of perpendicular to this valley here.

22           You can also see two of the sites, two of the  
23 sources. And each of these square black boxes is a 444 meter  
24 WRF grid cell. So it's about three or so cells that are  
25 across the flat part of the bottom of the valley and maybe

1 five, if you think of it from crest to crest. So I had great  
2 hopes that this would resolve the terrain reasonably well.

3           So the key features of our approach, we started  
4 out with--we put a receptor at the SO<sub>2</sub> site and then we put  
5 rings of receptors at 100 meter increments up to 500 meters  
6 radius around it. That was both so that we could see if  
7 there was any gradient in the area of the receptor and  
8 borrowing from the kind of CMAQ and CAM<sub>x</sub> style model  
9 evaluations, we often allow for a slight miss. You pick a  
10 receptor nearby that has a higher value and pick the max  
11 within--near the site so that you're taking an observation  
12 and allowing for a slight miss in space.

13           Probably the most interesting feature of our  
14 approach here was that we had this valley with more than half  
15 a dozen, around ten or so, sites up and down the valley at  
16 different orientations. And rather than using one meteoro-  
17 logical data set for all of them, we pretended, by using  
18 MMIF, that each site had its own met tower. So we did a MMIF  
19 extraction at each site, every one of them, and then you run  
20 AERMOD for each site and output to POSTFILES for the same  
21 receptor set, add them up, and do your statistics afterwards.

22           We did both hourly statistics--and again, I was  
23 thinking borrowing from the kind of CMAQ style evaluations  
24 where you often allow for a slight miss in time, kind of  
25 analogous to a slight miss in space, taking the nearest

1 highest receptor. But rather than just missing by an hour or  
2 two, we decided to take the max daily statistic because  
3 that's what the max is actually based on anyway.

4           And then we did the whole lot of sensitivity runs.  
5 The most interesting ones that we're going to talk about  
6 today are these three questions, how tall of a met tower do  
7 you need? Are we going to emulate a 10 meter tower like you  
8 would find at a National Weather Service site, an airport,  
9 where the profile file just contains one or two layers.

10           Are we going to emulate a tall, multilevel tower?  
11 We started out with the ten levels that are the default for  
12 the FLM CALPUFF levels that were the default in MMIF and they  
13 still are. And we subtracted a few levels, we added a few  
14 levels, saw if that made a difference.

15           We ended up with 17 levels, kind of going back to  
16 the original philosophy of MMIF, which was don't mess with  
17 the met, just pass it straight through. So we took the  
18 native WRF levels as close as we can, all of the levels up to  
19 250 meters, and just passed them straight through.

20           We have not yet run the MMIF guidance levels,  
21 which is pretending that you have a multi-instrumented 5  
22 kilometer tall tower. That's more information; right? The  
23 more information you feed AERMOD, the better it gets.

24           The next question we answered is about domain  
25 resolution--I only looked at the four smallest domains--and

1 then some talk about mixing heights.

2           But you end up with a whole lot of data. And  
3 rather than going all the way through the Cox-Tikvart  
4 methodology to the final protocol to the final hot spots, I  
5 looked at the original numbers. I don't know if you guys can  
6 all read this there in back. Yeah? Okay. I got a thumbs up  
7 in the back row.

8           So I color coded them all. Green is good. Red  
9 and blue are underprediction and overprediction in a--sort of  
10 bias-like statistics. And red is bad in a--like an error  
11 style statistic. So we were hoping that one of these would  
12 pop out to be all green and we'd be all good.

13           I think that you could conclude from this that  
14 there are some clear losers, but there's not any clear  
15 winners. There's no lines here that have all green. So we  
16 can look a little bit more closely at just a few of them  
17 here--moderately legible. I was worried about this slide.

18           So here at the top line we have the observations.  
19 The 99th percentile--we added some other statistics that are  
20 not part of the Cox-Tikvart set, but the 99th percentile for  
21 the year was 257 micrograms per cubic meter. There were five  
22 exceedances. And then the rest of Cox-Tikvart statistics--I  
23 could flip it down to 2 here. A lot of people like the  
24 robust highest concentration. It was 243 micrograms per  
25 cubic meter.

1           And then the top line is traditional AERMET with  
2 AERMOD, so this is using the Liberty site through the on-site  
3 pathway and the regional airport for the surface pathway.  
4 And you can see the 99th percentile is grossly under-  
5 predicted. It didn't predict any NAAQS exceedances. The  
6 rest of the statistics are all not horrible, but the robust  
7 highest concentration really pops out there. So you can't  
8 say that AERMOD--traditional AERMOD didn't do particularly  
9 well.

10           The next two lines we have MMIF in AERMET mode  
11 first and then two lines of MMIF in AERMOD mode, first with  
12 the 10 meter tower and then with the 250 meter tower. So if  
13 you really like the coefficient determination and maybe the  
14 fractional gross error and the geometric correlation  
15 coefficient down here, then I think you can conclude that the  
16 tall towers did better than the short towers.

17           But if you look at the number of--the 99th  
18 percentile, it's a little bit higher with the towers, but  
19 there are more exceedances with the short--I'm sorry.  
20 There's more exceedances with AERMET than there are with  
21 AERMOD. And the towers did slightly better, but very slight,  
22 I think, with the 99th percentile. And down here at the  
23 robust highest concentration, the shorter towers did better,  
24 so kind of a mixed take-away here.

25           I don't think that you can say that the tall tower

1 or the short tower did particularly better or worse, and I  
2 don't think you can say that the AERMET versus AERMOD mode  
3 produced very much difference. Maybe there's a slight  
4 preference towards AERMET mode and a slight preference  
5 towards taller towers.

6           We can look at the Q-Q plots and don't worry about  
7 the numbers there. The only thing you should know is that  
8 these are in log Q-Q plots, so the factor of 2 is a straight  
9 line. And you can see that traditional AERMET grossly  
10 underpredicted the high end of the concentration and most of  
11 the low end of the concentration. It's in the mid range.

12           Here are the Q-Q plots for--on the left MMIF in  
13 AERMOD mode, on the right MMIF in AERMET mode. On the top is  
14 the 10 meter towers and on the bottom is the 250 meter  
15 towers. Looking on the left here, the AERMOD mode did pretty  
16 good. It had a little bit of a dropoff near the top. And by  
17 using the tall tower, it produced worse results throughout  
18 the whole spectrum of concentrations and actually made  
19 everything a little bit worse--not horrible, but a little bit  
20 worse. For AERMET mode, going from the short tower to the  
21 tall tower didn't really affect most of the concentrations.  
22 But up here at the high end it produced lower values.

23           Moving on to the WRF resolution, here we have the  
24 obs again at the top, traditional AERMET, the line below  
25 that, and then sets of three, 444 meters, 1.3 kilometers, and

1 4 kilometers, for MMIF in AERMET mode with the short towers,  
2 MMIF in AERMET with the tall towers, MMIF in AERMOD with the  
3 short towers and MMIF in AERMOD mode with the tall towers,  
4 and immediately what drops out at you is that the 4 kilometer  
5 did horrible. There's lots of red in all the 4 kilometers.

6 Mr. Bridgers: If you want to summarize---

7 Mr. Brashers: I'll hurry it up here. So 4  
8 kilometers was too close. The number of exceedances is  
9 really awesome for the 1.3 kilometer. It did very much  
10 better. And the robust highest concentrations did very well  
11 as well.

12 Can I actually have the 4 minutes that we got from  
13 the previous speaker? This is one of the more interesting  
14 parts, I think. There's three---

15 Mr. Bridgers: (interposing) Take two and---

16 Mr. Brashers: (interposing) Two, okay.

17 Mr. Bridgers: ---then post it on the web.

18 Mr. Brashers: So WRF produces PBL height.

19 It's quantized. Each PBL scheme decides its own definition  
20 of PBL height. There's no common method. So MMIF  
21 rediagnoses it, and then of course there's AERMET's model for  
22 the next height.

23 Here's WRF on the y-axis and AERMET on the x-axis  
24 and you can see the quantization there. So on the Q-Q plots  
25 it's still okay, kind of a tendency for underprediction low

1 and overprediction high. And this is for the mechanical  
2 mixing heights, general overprediction by WRF.

3           This is MMIFs and they're doing--the general shape  
4 is a lot better. There's a tendency toward underpredicts,  
5 mostly because there's a cluster of points here where MMIF--  
6 sorry, AERMET and WRF disagree about the science of the  
7 stability. And here is the mechanical mixing heights. The  
8 Q-Q plot looks great, but that's just because it's equally  
9 horribly distributed down here at the bottom. You can look  
10 at this afterwards, but there's very little difference  
11 between any of it. They're all the same color; right?

12           So for the annual distribution these mixing  
13 heights just didn't make very much difference. I think for  
14 individual hours it makes a lot of difference what the mixing  
15 height is, but in this case, using the different sources of  
16 mixing height didn't make much difference.

17           So conclusions for the Liberty site, MMIF and  
18 AERMOD give results on par, maybe a little bit better, than  
19 traditional AERMOD. A tall tower is not necessarily better  
20 than a short tower. Finer WRF resolution didn't actually  
21 give us better results. The 444 meter was not better than  
22 the 1.3.

23           Using too coarse for this situation definitely  
24 resulted in poorer concentrations, lower maximum  
25 concentrations. So that was too low. Using WRF, MMIF, and

1 AERMET mixing heights gave a similar statistical performance  
2 over an annual SO<sub>2</sub> distribution. MMIF and AERMET and AERMOD  
3 modes, we get really similar results. So the parting shots  
4 are maybe we should look at that.

5           The MMIF guidance says that this AERMET mode and  
6 AERMOD mode are the same. There are some people in this room  
7 who would really like a little bit more help in the guidance  
8 to say that we could use AERMOD mode in locations, like say  
9 over the water, where AERMET is not applicable. And then we  
10 should probably talk about the PBL recalc settings and maybe  
11 even look a little bit more at what it does. Thank you.

12           Mr. Bridgers:           I appreciate that, Bart. Just  
13 to say in passing--I'm not trying to be rude and I understand  
14 typically in our conferences we let presentations run over  
15 and adjust things, but just the public hearing nature of the  
16 rulemaking, so I'm trying to respect that.

17           So the last presentation before the break, Tom  
18 here is going to present on some more WRF/MMIF experiences.

19           Mr. Wickstrom:        Hi, all. I'm Tom Wickstrom  
20 with ERM and I am from ERM's Philadelphia, PA office. I'm  
21 going to talk a little bit about some recent experience we've  
22 had using WRF, kind of off the beaten path application of  
23 WRF. And I'm also going to talk about MMIF, specifically the  
24 recent proposal in Appendix W.

25           So our recent experience has shown that the WRF

1 model can be useful as an illustrative aid for discussions on  
2 meteorological data representativeness as it applies to  
3 permitting applications. I'm going to give you an example of  
4 a recent AERMOD application where the met data representa-  
5 tiveness discussion was really enhanced by using WRF data as  
6 an illustrative tool.

7 I'm also going to talk about EPA's proposed  
8 changes to Appendix W that includes the use of WRF or MM5  
9 meteorological models as the source of the input meteoro-  
10 logical data into a regulatory application of AERMOD. And  
11 I'm going to ask the question that I had when I read Appendix  
12 W: could we have used WRF/MMIF for this previous application  
13 that we had and get similar model design values compared to  
14 use of an off-site MET tower.

15 I'll spend a few moments here looking at our  
16 application site. We have here a very wide view. You can  
17 tell by the scale; that's 25 kilometers there. But the  
18 isopleths here are colored, so anything that is orange, red,  
19 purple, black, or yellow, that's all intermediate and complex  
20 terrain.

21 And we have the project site there. That's a 1  
22 kilometer radius drawn around the project site. You can see  
23 in very close proximity there's some complex terrain,  
24 particularly a purple ridge running from the southwest to  
25 northeast just a few kilometers to the northwest of the site.

1           And we also note that we have a 60 meter meteorological tower in the nearby vicinity of this site. And that  
2 was very fortunate because we can see here the nearest  
3 National Weather Service sites and airports were considerably  
4 far away. We're talking about 50, 60 kilometers for both of  
5 them to the northeast and to the southwest. Considering the  
6 complex terrain and the situation, we felt that that would be  
7 a long row to hoe to justify the use of those distant met  
8 data sites given the setting.

10           So yes, it's difficult to justify the use of those  
11 distant airports for this particular site. And there happens  
12 to be a continuously operating and maintained tall meteorological tower located just 2.8 kilometers from the  
13 application site.

15           We still had a need to justify the use of that  
16 tall tower despite its close proximity due to the close  
17 terrain influences, so we decided to look at WRF to get a  
18 better understanding of the local wind patterns due to  
19 complex terrain.

20           We ran WRF at a 1.3 kilometer resolution for this  
21 analysis. And at the time we used one year of met data  
22 because it was convenient to us at that time. It happened to  
23 be the year 2005. There's no rhyme or reason why, but it's  
24 just the year that we had readily available for this  
25 application.

1           So let's start looking at some WRF outputs here.  
2 These are windroses derived from WRF at each node. So  
3 they're at 1.3 kilometer resolution and 1.3 kilometer spacing  
4 from each other. And these isopleths--these are the same  
5 color scheme that was in that large figure, so orange and  
6 red, purple up at the northwest there. That's all starting  
7 to get into high terrain.

8           Now, this is at the 60 meter level. We can see in  
9 the central part going to the north there's low lying regions  
10 where the tall tower is. We see slightly lower wind speed  
11 when compared to the elevated terrain. That's, you know,  
12 pretty expected. But overall we're looking at a very similar  
13 directional distribution of winds.

14           So if we start going up in the atmosphere in WRF,  
15 now what do we see? We see the directional comparability  
16 between all these modes start to really come together. We  
17 still see, you know, slightly higher wind speeds in the upper  
18 terrain areas as opposed to the lower, but even that is  
19 starting to converge. And then when we zoom out and up in  
20 the atmosphere up to nearly 500 meters, now we're essentially  
21 looking at the same windrose at each WRF node for that year,  
22 2005.

23           So we're trying to determine what level really is  
24 important to us in this application site, so we used the  
25 AERMOD debug output. We wrote a little program to compile

1 different plume rise statistics and we grouped them by hour  
2 of day. And you can see here these little symbols are  
3 frequency bins. The plus and the diamond, those are the most  
4 frequent occurrences, so generally speaking, over the course  
5 of the day, plume rise in the main source at this project  
6 site is between 200 and maybe 320 meters. So that's really  
7 our level in the atmosphere where we need to really focus on.

8           Let's quickly look at a direct comparison of the  
9 tower observations for 2005 versus WRF observations--the WRF  
10 generated wind data in 2005. So on the left is the tower  
11 windrose and on the right is the WRF windrose. Obviously  
12 they're not the same windrose. You can see there's some  
13 artifacts in the tower, particularly that northeast artifact.  
14 That's probably due to drainage flow of some kind. It's not  
15 well realized at the 1.3 kilometer resolution of WRF.  
16 Perhaps if we went down to 444 meters, the next nesting  
17 model, we could have started to draw that out, but we didn't  
18 end up doing that.

19           Regardless, the average speeds here we felt were  
20 pretty comparable. The tower has an average wind speed of  
21 3.4 meters per second at this level and the WRF model is  
22 generating an average wind speed of 3.7.

23           So our conclusions on the met representativeness  
24 discussion where we used this WRF run to really supplement,  
25 at the 240 meter level, WRF shows a consistent windrose

1 pattern across the study area. And we identified that 240  
2 meter level as an important one in the application due to the  
3 expected modeled plume heights that it showed in that  
4 frequency by hour of day plot.

5           Also, we can comment that the wind pattern in the  
6 immediate vicinity of the tower and the application site is  
7 similar at 60 meters. As we saw in that previous slide, the  
8 average wind speed is slightly less at the tower site. And  
9 the tower observed wind speeds themselves are generally  
10 biased slightly lower than WRF.

11           So our overall conclusion here was that there was  
12 acceptable directional representativeness, slightly lower  
13 tower wind speeds, and those wind speeds will be conservative  
14 when they are extrapolated to plume height by AERMOD. So we  
15 took five years, the five most recent years of tower data, at  
16 a 10 meter and 60 meter multilevel tower. And the end result  
17 was we had a successful air quality modeling analysis using  
18 those data.

19           So switching gears again, with the advent of the  
20 new proposal for Appendix W from July 30th or whenever it  
21 was, we wanted to take a look at actually running MMIF as  
22 proposed in Appendix W for this site. And I just want to  
23 note some of the language included in the proposal,  
24 specifically talking about cost prohibitiveness or  
25 infeasibility being a trigger for when you can use the

1 prognostic data. Let's talk a little bit about that.

2           For the sake or argument, if we assume that that  
3 nearby tower data wasn't available, could we have used MMIF  
4 and WRF to generate the meteorological data for AERMOD? So  
5 we know we had questionable representativeness of the distant  
6 airport met data sets. And this particular application  
7 likely could not have accepted a 16 month or so delay for a  
8 meteorological monitoring program.

9           Now, on-site met monitoring for this site would  
10 likely have included a tall tower at 60 meters, likely 100  
11 meters, a SODAR, and then the time to acquire all that  
12 instrumentation, time to construct it, time to compile the  
13 monitoring protocol, a minimum of 12 months of actual met  
14 data that needs to be collected, and of course that met data  
15 has to meet all the completeness requirements.

16           And there's a lot of time that has to go into a  
17 met monitoring program beyond just that 12 months. Things  
18 can happen over the course of the monitoring that can delay  
19 things, and SODARs are particularly susceptible to vandalism.  
20 Just things like that can really ruin your day when you're  
21 trying to collect a year's worth of met data.

22           So what we did was we executed MMIF 3.2 following  
23 the EPA July 2015 guidance. What we're doing here is to take  
24 a quick look, an initial impression. We're not doing a full  
25 model evaluation. You know, we did this, you know, in the

1 weeks leading up to this conference.

2           And I just want to point out that the tower data  
3 isn't site specific, but it is a high quality, multilevel  
4 data set. It's not a National Weather Service site. So I  
5 just want to point out that the data that we're looking to  
6 compare to WRF is of higher resolution than we can find at a  
7 National Weather Service site because there's more than one  
8 level. And the instrumentation itself is, you know, of real  
9 high quality.

10           So we used 2005 again because that's what we have  
11 WRF data for. And we also have tower data all the way back  
12 to 2005, so we have a nice year to year comparison here. The  
13 model results that I'm about to show you are based on an  
14 actual application that went through permitting, but these  
15 results themselves are for a theoretical project at the same  
16 site.

17           So here's a plot of the model design value for  
18 NO<sub>2</sub>, and this is using WRF/MMIF data. It's very hard to see,  
19 but the project site is in the southeast corner there. And  
20 the high concentrations are occurring on a complex terrain  
21 ridge just to the northwest. And that's really the extent of  
22 most of our elevated concentrations. And this is, you know,  
23 typical complex terrain, stable conditions causing the  
24 elevated concentrations.

25           We're comparing this now to the tower data for the

1 same time period. And we can see that the maximum concen-  
2 trations are occurring at that same piece of the ridge on the  
3 right-hand side of the slide there. We can see a little bit  
4 more than what's realized from the WRF data along the grid as  
5 it goes off to the southwest. And the design values--I  
6 forgot to note that the previous design value for MMIF was  
7 89.5 and this design value is 91.75. So we're getting  
8 extremely similar results.

9           Let's take a little bit closer look here. We have  
10 source by source at the project site how do results compare  
11 from the two data sets. And I have the high first high and  
12 the high 8 high design values shown.

13           So you can see that between high first high and  
14 high 8 high for source 1, that's the main source. It's a  
15 tall stack, you know, very high flow. All of its impacts are  
16 very episodic in complex terrain. Once you get to the more  
17 stable design value, there's a big step off there for the  
18 design value in the high first high, not so for the ancillary  
19 equipment. Those are much more stable and much more--  
20 extremely comparable between the two data sets.

21           But even for the main source between the two data  
22 sets, we have good comparability, at least from this initial  
23 exercise here, you know, 32 versus 35.8 micrograms per meter  
24 cubed. So our initial observations seem to suggest that  
25 there's reasonable comparability between the two data sets.

1           So our initial conclusions and some comments here,  
2 we feel that utilizing WRF and MMIF as a source of meteorological  
3 data for AERMOD for this application shows similar  
4 model results compared to representative multilevel  
5 observation of meteorological data.

6           If no observational meteorological data were  
7 available, finding representative airport data would have  
8 been challenging. And use of WRF/MMIF as suggested by the  
9 new Appendix W could possibly have saved this project in that  
10 case if that nearby tall tower wasn't available.

11           So we strongly support the proposal in Appendix W  
12 to allow the option of using WRF or MM5 through MMIF to  
13 generate meteorological data for regulatory applications.

14           Mr. Bridgers:           Thanks so much, Tom. As we  
15 prepare to go to break, I know I cautioned earlier about not  
16 approaching EPA folks to ask them a bunch of questions. But  
17 all the speakers from this afternoon, anything that they  
18 presented, feel free to talk with them about all that. Just  
19 don't do it with EPA folks standing right there. We live  
20 around y'all around here and we work around you.

21           But seriously, the presentations will be posted--I  
22 know Bart was a little rushed just because of the time limit,  
23 but his presentation will be posted online and feel free to  
24 follow up by contacting him directly and asking questions if  
25 you have them.

1           We are just past--we'll stay on schedule with  
2 respect to when we come back from break, so we'll break now  
3 until 3:35. And then we'll round out the afternoon through  
4 5:20, so about 20 minutes, guys.

5           (A recess was taken from 3:14 p.m. to 3:37 p.m.)

6           Mr. Bridgers:           As we take our seats, we now  
7 have three presentations that are going to be given in  
8 succession by the AWMA, a subcommittee of that, and David can  
9 introduce that when he gets up here. So we've allotted 15  
10 minutes for three different topics. And I'm going to let the  
11 three different topics kind of run semiautonomously, but like  
12 I said, with these guys, I'm still going to try to keep them  
13 to their 15 minute blocks. So over the next 45 minutes we'll  
14 hear from AWMA. David?

15           Mr. Long:           Good afternoon. My name is  
16 David Long. I am an engineer with American Electric Power  
17 and today I'm speaking to you as my role as chairman of the  
18 Atmospheric Modeling and Meteorology Committee of AWMA.

19           The Atmospheric Modeling and Meteorology Committee  
20 is the technical coordinating committee for air quality  
21 modeling and meteorology issues within AWMA. We have roughly  
22 100 active members on the committee and our objectives for  
23 our committee are to provide technical support for the annual  
24 meeting, support specialty conferences and workshops, which  
25 I'll mention a little bit about later in my part of our

1 presentation, contribute to various technical programs  
2 sponsored by AWMA, and provide comments and review on  
3 regulatory and technical issues relating to modeling in a  
4 constructive manner.

5           For working on the Appendix W revisions, we put  
6 together an ad hoc review committee chaired by George Schewe  
7 of Trinity. And the committee consisted of myself, Justin  
8 Walters of Southern Company, who's our vice chair; Michael  
9 Hammer of Lakes Environmental, who's our secretary; Pete  
10 Catizone from TRC; Bob Paine from AECOM; Gale Hoffnagle from  
11 TRC; Ron Petersen from CPP Wind; Ralph Morris from Ramboll  
12 Environmental; Mark Garrison from ERM; Tony Schroeder from  
13 Trinity; and Abhishek Bhat from Trinity. And then as part of  
14 our process, we solicited comments from all the various--all  
15 the committee members and tried to work those into our  
16 comments as best we could.

17           Our topic areas we're going to be discussing are  
18 general comments, which will be the area I'll be speaking on,  
19 AERMOD, the enhancements, new algorithms, and applications,  
20 which will be spoken about by Mark Garrison, and finally,  
21 single source modeling for ozone and PM<sub>2.5</sub> and long range  
22 transport modeling, which Gale Hoffnagle will speak to.

23           Looking at general issues, EPA has produced a lot  
24 of useful information to address many challenging tasks in  
25 air quality modeling. However, looking at the current record

1 as it exists today, we see some of the guidance documents  
2 that have been placed in the docket do not yet appear to be  
3 complete or appear to still be works in progress, and we're  
4 not sure they completely support the final rulemaking.

5           Now, where we see potential incomplete modeling  
6 procedures are for ozone and PM<sub>2.5</sub> guidance, the Tier 1  
7 emission rate guidance--and we view that as an essential  
8 piece of the Tier 1 process and it doesn't appear to be  
9 available based on what our members have been able to locate  
10 to this point. Some of the long-range modeling procedures  
11 don't appear to be well defined, and some of the promulgation  
12 of these issues could occur with future rulemaking once the  
13 more complete procedures are defined. We feel that would  
14 make a better record.

15           We also--we do think that some of the incompletely  
16 defined approaches can cause problems working on permit  
17 modeling. You know, one of the things that was mentioned  
18 earlier today is, you know, protocols are going to be much  
19 more important. And one of the problems that we've had that  
20 our members have had over the last number of years is  
21 protocols can take a very, very long time to be approved.  
22 And with some of what we see as potentially open issues in  
23 the *Guideline* and more Model Clearinghouse review, the  
24 timing--we don't feel the timing will get better. We're very  
25 concerned the timing will be worse as time goes by.

1           Regulatory review for protocols we feel should be  
2 able to be done in a fairly limited time, but you get into a  
3 number of agencies that sometimes don't see eye on how  
4 something should be done and, you know, it causes some  
5 problems. So we would encourage EPA to try and help move the  
6 process along.

7           Obviously with these problems we see that that  
8 increases the expense for entities that are trying to get  
9 through permit modeling. It's going to take more effort to  
10 prepare the protocol and then to work it through the review  
11 process with things not maybe as well defined as they could  
12 be.

13           You know, this increases greater--increases costs  
14 and uncertainty, especially in the areas of ozone and PM<sub>2.5</sub>.  
15 And it potentially leads to a greater effort to defend a  
16 permit that would ultimately be issued because the procedures  
17 may not have been as well defined in Appendix W.

18           You know, consistency, one of the things that,  
19 again, we've heard mentioned earlier today. You know, we see  
20 some of the proposed changes as potentially causing less  
21 consistency amongst modeling activities and--because it seems  
22 like things may be going more to a case by case situation  
23 instead of a more uniform modeling approach throughout the  
24 country. Now, the consistency issue is something that we've  
25 seen as an effort of past guidelines. And again, lack of

1 consistency can lead to challenges to permit and more  
2 litigation.

3           Potentially, it could drive companies to try and  
4 avoid PSD type modeling, which increases the time and expense  
5 for a permit. And it's also potentially going to take a long  
6 process, getting a PSD or NSR permit, and make it an even  
7 longer process, which may not necessarily be the best  
8 utilization of agency or regulated community time.

9           You know, we would also recommend to EPA in their  
10 changes to Appendix W that they not take positions that cause  
11 special approvals to be restricted to single sources and then  
12 not make them reachable for any other purpose.

13           And we also--as we've looked at the guideline  
14 proposal to this point, it appears that special approvals  
15 will be much more extensively needed for everything but a  
16 basic demonstration. And we would encourage EPA to retain  
17 the current system where the permitting authority has more  
18 discretion to approve a modeling protocol in most cases.  
19 Obviously there are going to be cases where things are going  
20 to be done that are not standard within the protocol and  
21 special handling is required for those, and that's been the  
22 case all along.

23           We'd also suggest that EPA consider forming an  
24 independent expert model science advisory panel to advise EPA  
25 in planning and review of model component changes and

1 guidance on how models are applied. The focus of this group  
2 would be on model evaluation changes that are scientifically  
3 justified rather than on just simple sensitivity studies.  
4 And EPA should demonstrate that model formulation and  
5 guidance changes will indeed result in improved model  
6 performance.

7           We also would suggest that EPA move to a tiered  
8 approach for model changes and updates to allow new and  
9 improved modeling formulations to move into use in a more  
10 expeditious and better reviewed fashion.

11           Now, the first tier would be changes to models in  
12 Appendix W, which would be major changes, and this would  
13 require a formal public comment process with *Federal Register*  
14 notice and a public hearing, would include a 90 day comment  
15 period, and we'd recommend allowing a one year period for  
16 testing and debugging of new modeling procedures with  
17 additional comments limited to just the testing and debugging  
18 and not the whole model formulation itself.

19           Final implementation would then occur after the  
20 one year period is up, including a review of the 90 day  
21 comment period information and the results of the testing and  
22 debugging activities. And potentially the new techniques  
23 could be allowed to be used immediately, but subject to  
24 change due to the testing and debugging and public comment.

25           Tier 2 would be formulation updates to Appendix W

1 models. And this would be things such as the low wind speed  
2 options, changes to downwashes affecting stacks at or above  
3 GEP height, and some of the options that have been set up for  
4 CALPUFF but have not always been approved in a timely  
5 fashion.

6           Now, these are more substantial than simple bug  
7 fixes and should be reviewed by the public. But a Tier 2  
8 change would not require a *Federal Register* notice or a  
9 public hearing. There would be a 90 day comment period, but  
10 it wouldn't require the reopening of Appendix W and allowing,  
11 again, a one year period for testing and debugging with  
12 additional comments outside of the 90 day period limited to  
13 just testing and debugging information.

14           Then final implementation would be after that one  
15 year period with review of all comments and the testing and  
16 debugging activities. Again, we'd suggest some of these  
17 techniques would be available for use immediately, but again,  
18 subject to change based on the results of the testing and  
19 debugging and public comment.

20           The final tier is simple bug fixes or procedural  
21 clarifications. And again, we would suggest a comment period  
22 on this of 90 days, but no testing being required and the new  
23 techniques would be available for use immediately, but  
24 subject to change.

25           Now, EPA, we also feel, should allow for review of

1 alternate modeling approaches through the Clearinghouse  
2 without tying such requests to permit applications. This  
3 could be a case where an entity sees an issue with the model  
4 and wants to bring it to EPA's attention, but it isn't going  
5 to--it isn't happening in the context of a permitting  
6 process. And we also would encourage collaborative field  
7 experiments with EPA input.

8           As I mentioned earlier, we do--our committee is  
9 responsible for specialty conferences, and we are planning  
10 one for 2016. It's going to be our sixth specialty  
11 conference on air quality modeling. It's scheduled for  
12 April 12th through 14th at the Sheraton Chapel Hill in Chapel  
13 Hill, North Carolina. The call for papers is open and more  
14 information on this conference is available at [aqmodels.awma.org](http://aqmodels.awma.org).  
15 And now I would like to invite Mark Garrison up to  
16 start our talk on AERMOD.

17           Mr. Garrison:           I've got 15 minutes? Thank  
18 you, David. Thank you, George. I appreciate the opportunity  
19 to provide some comments at this conference. I'd also like  
20 to thank Bob Paine, Ron Petersen and Pete Catizone for  
21 providing a lot of the technical content of this  
22 presentation. I think I was nominated to give this  
23 presentation so that the impression wouldn't come across that  
24 this is a Bob Paine conference, but nonetheless.

25           We do provide a number of feedback and questions

1 regarding the new algorithms and enhancements. We did  
2 provide some recommendations for possible future enhancements  
3 to AERMOD for EPA's consideration. We also provide observa-  
4 tions, comments, recommendations on various aspects of the  
5 application of the AERMOD system in Appendix W.

6           There are a lot of questions in our presentation.  
7 I think I'm going to have to go through it fairly quickly to  
8 get through the time allotted. Listening to the presenta-  
9 tions this morning and this afternoon, however, I think a lot  
10 of the questions and issues that we raise have been addressed  
11 and in some cases answered by others. I'm going to try to  
12 sort of point this out as I go through with--as I go through  
13 this. And the committee is planning on providing additional  
14 comments in the comment period, either additional things that  
15 we think of or amplifications to the comments that we're  
16 making today.

17           Well, 15181 incorporates, as we have heard and as  
18 we know, some new algorithms including PVMRM2, LowWind3,  
19 Teriminator4--sorry, Terminator4 is not in AERMOD--and of  
20 course, buoyant line source type that has been added to the  
21 modeling. 15181 also contains some other options, beta  
22 options that have been in the model since 12345. Our  
23 comments are addressed to those too.

24           I think it's fair to say that for all the  
25 committee members that these are very welcome and appropriate

1 enhancements to AERMOD, and the committee does very much  
2 appreciate EPA's hard work in their ongoing efforts to  
3 consider and incorporate changes that improve the AERMOD  
4 system. And I think that reminds me, did I introduce myself?  
5 Mark Garrison, ERM. Thank you.

6           The first topic is NO<sub>2</sub> modeling options, on which  
7 we've heard a couple of presentations already. And I think  
8 obviously ARM2 is a more realistic approach to modeling that  
9 conversion than the existing Tier 1 and Tier 2 options,  
10 although there might be some issues with going to ARM2  
11 directly from Tier--the existing ARM, especially since the  
12 minimum ratio recommended is 0.5.

13           The committee feels that it's likely to be much  
14 too conservative for many applications, and the language on  
15 alternatives--this is actually a misrepresentation. That is  
16 actually at 4.2.3.4(d) in the proposed Appendix W. It is  
17 very long. And improvements to PVMRM, as we've heard  
18 previously PVMRM2 addresses some of those limitations and  
19 issues with the previous PVMRM.

20           ARM2 is now indicated as a beta option. We've  
21 learned the process of, you know, removing it from the beta  
22 option has to wait for close of the comment period and EPA's  
23 response. So we simply want to encourage elevation to  
24 default status as quickly as possible.

25           These two comments basically ask for a little bit

1 more guidance in terms of how to model increment consumption,  
2 net air quality benefit analyses involving NO<sub>2</sub>. The bottom  
3 part of this graph simply--it's very hard to read, but the  
4 horizontal axis is ozone concentration. The vertical axis  
5 is time to complete conversion. And the point is, I think,  
6 that for some situations with very near, very close impacts,  
7 that can be an important consideration. And the suggestion  
8 is that some consideration of the time of conversion be  
9 incorporated into the AERMOD.

10           We heard about LowWind3, and I think this issue  
11 hasn't been answered very much, what LowWind3 is compared to  
12 the other low wind options. And again, we kind of encourage  
13 the low wind options to become regulatory default options.

14           The buoyant line source algorithm is a welcome and  
15 encouraging addition to AERMOD. It allows for modeling of  
16 buoyant line sources along with more traditional sources.  
17 And we think that the current version should be treated as a  
18 beta version due to the limited user input and limited user  
19 experience until such time as we kind of gain some experience  
20 and can provide some feedback on that.

21           This suggestion is to include test runs in the  
22 BUOYLINE source algorithm to be distributed with the AERMOD  
23 system. And I think this question, it kind of is answered by  
24 the understanding that incorporation of BLP into AERMOD is  
25 intended not to create a new model, but to simply take what

1 would be predicted by BLP and put it into AERMOD.

2           It produces some sort of strange, you know, a need  
3 in other words, within AERMOD to determine a Pasquill-Gifford  
4 stability category and some other issues like that where the  
5 algorithms between the two models are different. But I think  
6 that this is one area that need--certainly needs some more  
7 review and study.

8           And this is really sort of the same issue. I mean  
9 the intention as I understand it and as the committee  
10 understands it is to include what would be predicted by BLP  
11 in AERMOD so that you don't have to run two models and kind  
12 of mesh the two results in a close processing step.

13           In terms of mobile sources, I think we did hear  
14 that the intention is to replace CAL3QHC in its refined  
15 version with AERMOD. The issues listed here included, you  
16 know, what to do about queuing algorithms and a couple of  
17 other issues--a couple of other treatments within the mobile  
18 source models. It's not clear how AERMOD will handle those,  
19 but I think they will hopefully become clearer as we learn  
20 more about 15181.

21           Just a quick note on secondary  $PM_{2.5}$  application.  
22 The committee feels that possibly a reduced form model for  
23 secondary  $PM_{2.5}$  could be adapted for AERMOD as opposed to  
24 adding a constant value at all receptors. It can either be  
25 done through a postprocessor using a look-up table or other

1 means of calculating a transformation rate, or probably even  
2 more straightforward, could or should be incorporated into  
3 AERMOD directly.

4           Several slides on background concentrations--I  
5 won't dwell on these too much. I think there have been some  
6 helpful discussions already today. The first point here,  
7 that focus should be on actual emissions, not allowable. And  
8 the new Table 8.1 or 8.2--I don't remember which one it  
9 is--is certainly a welcome change to how nearby sources are  
10 modeled.

11           And I think--again, I'm not going to go through  
12 each of these in detail, but the overriding point is that  
13 background concentrations should be--should not have  
14 influences from nearby industrial sources that are not going  
15 to interact with the source in question. It's a very  
16 difficult thing to accomplish, but we think that it's  
17 important to achieve that goal. I'm sort of reading through  
18 here to see---

19           (Pause.)

20           Again, I think--I won't go through these in  
21 detail, but one thing to consider I think to the last point  
22 is that the use of lower percentiles, perhaps the 50th  
23 percentile, should be used as a reasonable and viable option  
24 to account for a true background in refined modeling.

25           In the area of building downwash, I think the

1 committee feels that there is still some sort of long-  
2 standing questions about performance for certain situations,  
3 including long and narrow buildings, low wind speeds, which  
4 we've heard a couple of presentations about already.

5           The issue that's been on for a while, the downwash  
6 for stacks at or above GEP, is an issue that probably needs  
7 some further review and discussion, and I think the committee  
8 would plan to amplify on that comment in its comments. And  
9 of course the last bullet, we do encourage EPA to seek  
10 feedback from external stakeholders.

11           There were a number of theoretical issues that  
12 were raised in the comments. And I won't go through these,  
13 but I think these theoretical issues in part are addressed by  
14 considerations about the heat island effect in certain  
15 buildings and the issue with long narrow buildings that the  
16 committee is going to provide additional comments during the  
17 comment period.

18           Equivalent building dimension approach has been  
19 around for a while as well, and I think the committee feels  
20 that it is still a viable alternative for complex building  
21 cases, including porous structures, streamlined structures,  
22 et cetera. And that should be considered--or guidance for,  
23 you know, preparing that kind of an analysis and EBD should  
24 be addressed.

25           We have heard--these last two bullets, we're heard

1 presentations about, you know, low wind speed downwash and  
2 situations where excess heat in a building or an industrial  
3 area can cause plume liftoff, so I won't go over those.

4           And finally, our last topic is in terms of using  
5 prognostic meteorological data in AERMOD, which we've already  
6 heard a couple of presentations about. And I think, you  
7 know, all of us feel it's an encouraging and very welcome  
8 option for cases where airport representativeness is  
9 uncertain.

10           And the point is that the use of MMIF should be  
11 encouraged and should eventually become a default option. I  
12 understand that some guidance is currently being developed,  
13 but I think the committee feels that it's a great alternative  
14 and should be pursued.

15           Additional testing and comparison I think may  
16 reveal some areas where, you know, the use should be  
17 cautioned, and I think that's one area that we feel needs  
18 some attention, not just sort of widely apply it, but  
19 understand the limitations.

20           And I think the--just simply the option to work  
21 with the appropriate reviewing authority or agency and  
22 development of a protocol as to how to do this is absolutely  
23 welcome for situations where measurements are not--in situ  
24 measurements, the on-site measurements, are impractical or  
25 cost prohibitive.

1           This is a specific reference to MMIF and I think  
2 kind of in keeping with not referring to specific models and  
3 model versions and the references in the AERMOD users guide.

4           The issue of land use in WRF versus land use  
5 eventually in AERMET is an issue that needs some attention  
6 and study as well. WRF cells, as we heard earlier, can go as  
7 low as 400 meters or so, but that is still--there is still  
8 some question as to whether that 400 meter land use is  
9 representative enough for a particular application. So I  
10 think the idea is that, you know, maybe have WRF through MMIF  
11 provide wind and temperature profiles, but then use AERMET to  
12 specify land use in a more detailed, site specific area.

13           We do have I think a few more slides on prognostic  
14 met data. I think the first question obviously has been  
15 asked and answered, and another comment on a citation in  
16 8.4.2 that might need to be reviewed and possibly changed.

17           We did hear--I guess Bart was saying that his  
18 AERCOARE option was grayed out and it was not addressed  
19 currently, but I think that is something that needs to be  
20 considered, that the AERCOARE algorithms and approach might  
21 be appropriate for including in AERMOD for over water  
22 applications. The AERCOARE has been approved for and  
23 implementation of an AERCOARE type approach would be similar  
24 to a BLP inclusion.

25           Okay, summary. I think--again, I think the

1 proposals are encouraging and reflect considerable hard work  
2 by EPA and are welcome changes, welcome updates to the  
3 *Guideline on Air Quality Models*. We anxiously await the  
4 elevation to default status of several important updates.

5           BLP is a welcome addition, much work to be done.  
6 Mobile sources, some clarification is needed on the status of  
7 AERMOD with respect to CAL3QHC and particularly how certain  
8 algorithms within those models are handled in AERMOD.  
9 Background, current procedures are still very conservative.  
10 Downwash, work is needed on long buildings, low wind speeds.  
11 MMIF, the use should be encouraged. Maybe there should be a  
12 clearinghouse for WRF data sets in the IM, and we're done.

13           The next speaker is Gale Hoffnagle. I'll let you  
14 introduce yourself, Gale.

15           Mr. Hoffnagle:       Gale Hoffnagle from TRC. I'm  
16 going to talk about single source modeling for ozone and PM<sub>10</sub>  
17 (sic) and long range transport modeling, and my overall theme  
18 is case by case is not guidance.

19           This modeling issue is very challenging. The  
20 ozone and PM<sub>2.5</sub> is very challenging. We recognize that has  
21 EPA spent a good deal of hard work to date on the proposal  
22 package. The proposed approach, while having merit and being  
23 a good start, is preliminary and needs more development  
24 before becoming part of this rulemaking. It's not ready for  
25 prime time.

1           Currently there are no clear modeling approaches,  
2 which is a significant departure from the very specific  
3 default options specified by EPA for AERMOD and CALPUFF  
4 modeling in prior guidance. Has EPA considered--this as one  
5 of the overview items. Has EPA considered the interaction of  
6 secondary formation and Class I increments? That's a big  
7 question that's unaddressed.

8           So we have a three tiered approach, a qualitative  
9 waiver of modeling requirement if new emissions are less than  
10 model emission rates for precursors or MERP, which is not  
11 available. I don't know how to evaluate the three tiered  
12 process without MERPs being available. And I don't know  
13 whether it's going to be a separate promulgation or not.

14           The next tier is a screening approach based upon  
15 relationships between emissions and impacts, which may have a  
16 reduced form model or a screening model. This tier is to be  
17 appropriate for most permit applicants. How does EPA know  
18 that before it's done? I don't know that.

19           The final tier is use of more sophisticated case  
20 by case sophisticated photochemical modeling analysis and  
21 necessary only in special situations. I don't know how we  
22 know that before the three tiered approach is finished.

23           MERPs need to be specified through a proposal and  
24 public comment. I guess that's a future rulemaking. This  
25 will help the user community to understand what this tier

1 covers.

2           The IWAQM3 near-field document states, "At this  
3 time, it is not clear that a robust reduced form model exists  
4 for either ozone or secondary PM<sub>2.5</sub> for the purposes of  
5 assessing single source downwind impacts of these  
6 pollutants." Well, if there isn't such a model, how are we  
7 going to get a workhorse model for the second tier? I don't  
8 know. I don't know. We don't know how that is and we don't  
9 how to evaluate it.

10           More specifics are needed on the application of  
11 Eulerian photochemical grid models or advanced Lagrangian  
12 models in future rulemaking. We need a second--"Single  
13 source secondary impacts are...usually highest in proximity  
14 to the source." I don't know that. Is that true? That's an  
15 issue. It's been an issue. Are they long range transport?  
16 Are we making more stuff long downwind or are we making more  
17 stuff right there next to the source. I'm sure it changes  
18 depending upon the situation.

19           But anyway, we don't have much data within 10  
20 kilometers of a source, and we run into problems with the  
21 grid size in photochemical grid models when we get down to  
22 those kind of distances. We've seen the problems at MMIF at  
23 4 kilometers and 1½--or 400 meters and 1½ kilometers. A  
24 focus on near-field evaluations would be helpful. We need  
25 more data.

1           So if peak impacts occur near the source, careful  
2 attention needs to be paid to modeling near the source, and  
3 plume-in-grid treatment would come up for debate again.  
4 Plume rise and source related effects are therefore very  
5 important. Where is the plume in elevation? Where is the  
6 chemistry in elevation? How does that chemistry in elevation  
7 affect ground level concentrations? Those are all issues  
8 that have to be discussed. Lagrangian models avoid this  
9 problem, so such models should be seriously considered for  
10 ozone and second PM<sub>2.5</sub> modeling, especially in the workhorse  
11 category, if you will.

12           Relative versus absolute predictions: EPA  
13 recommends that absolute photochemical grid modeling  
14 predictions should be compared to the SILs. We don't have a  
15 SIL, but when we have a SIL for ozone I guess we'll do that,  
16 which brings up the whole question of SILs. If the PM<sub>2.5</sub> SIL  
17 is under remand, when and how are we going to have an ozone  
18 SIL?

19           What is the ozone SIL? Is it 1 ppb? Does the  
20 ozone SIL change as the ozone standard changes on the 1st of  
21 October because that's when we know it will change. So  
22 there's a whole bunch of issues there that make it difficult  
23 for us to evaluate where this is all going.

24           In many PGM applications, a relative reduction  
25 factor is applied to minimize model uncertainty. That

1 happens in the SIP program. But in the guideline program,  
2 we're not allowed to make calibrations, right, so there's a  
3 big difference in the way that these models have been run for  
4 SIPs and run for the *Guideline* in using them for the  
5 *Guideline*. I think there is a pretty good reason to suspect  
6 that we ought to do some calibration of PGM models if we're  
7 doing regulatory analysis under the *Guideline*. But this is  
8 sort of a, you know, absolute issue.

9           Who will determine how to run the advanced models?  
10 The widespread use of the top modeling tier may be because  
11 the scope of the tiers is not yet clearly defined. We think  
12 that's a problem. Model users need more specification of  
13 which top tier model and which technical options should be  
14 used. That is, where's the guidance? We don't have any  
15 guidance.

16           What group of experts is available to determine  
17 how to run the designated model, because we always get  
18 involved in the question of which switches to use? Will  
19 regional modeling platforms including existing source  
20 databases be set up and designated for use? If so, we will  
21 need to plan that carefully.

22           I can't imagine that each model, each permit  
23 applicant is free to go out and create a new smoke input for  
24 their PGM model. That's ridiculous. That can't happen. It  
25 will make modeling for a permit a \$200,000, \$300,000 job, not

1 good.

2           Independent peer review program: the promulgation  
3 of previous major *Guideline* model changes were preceded by an  
4 independent peer review. These important modeling develop-  
5 ment changes warrant the same level of peer review, which  
6 would be subject to public review and comment. This process  
7 can be conducted in association with future rulemaking, but  
8 we need--I believe that EPA needs some outside guidance on  
9 how these models perform, et cetera. And AWMA is offering  
10 that that's what should happen.

11           Additional evaluation databases should also be in  
12 the review. Come on, guys, we need more data. Now the  
13 models are being asked to do things that we've never asked  
14 them to do before and we need more data. I applaud API for  
15 bringing some new data, EPRI bringing new data, but we need  
16 more data. And I think EPA needs to sponsor data evaluations  
17 again. So as I said, this three tiered approach is not  
18 ready.

19           Long range transport models, CALPUFF and others--I  
20 don't understand why EPA believes that there isn't the need  
21 for long range transport modeling that there was before, but  
22 I can tell you that we have had a recession, if you don't  
23 understand. And people are not building new plants. And if  
24 there's less permits being put in over the last six or seven  
25 years, that's the reason.

1           When we get back to putting in permits for new  
2 plants as the economy gets better, these are all within 300  
3 kilometers of Class I area and we're going to need to do a  
4 lot more of those analyses, or at least we hope we're going  
5 to get to do a lot more of those analyses.

6           CALPUFF was recommended by IWAQM in 1998, used for  
7 long range transport modeling, adopted in 2003. EPA proposes  
8 not to have a long range transport guideline model. The  
9 reasons for this appear to be more focused on CALPUFF manage-  
10 ment than CALPUFF performance. However, we are hopeful that  
11 the management of CALPUFF can be worked out with EPA.

12           CALPUFF is used widely throughout the world. We  
13 have limited chemistry in the approved version because EPA  
14 hasn't seen fit to evaluate any improvements in CALPUFF. So  
15 version 6.42 has improved aerosol thermodynamics and aqueous  
16 phase chemistry, which should be considered by EPA. It has  
17 not been considered at all.

18           States and the user community have familiar with  
19 CALPUFF, and its use could be retained at least as an  
20 advanced screening model. Use of CALPUFF in this capacity  
21 will also formally support the recommendations of FLAG 2010  
22 and use of BART, which I think we've covered before, that  
23 those are going to happen.

24           Running CALPUFF is much easier than running PGM  
25 for single sources, saving applicants and states time and

1 money. We need an advanced screening model for stringent  
2 Class I SILs and recommend that EPA retain the use of CALPUFF  
3 for that purpose. Failing that, if the nearest Class I area  
4 is well beyond 50 kilometers, but less than 300, we have a  
5 question: have you considered whether AERMOD could be run  
6 beyond 50 kilometers as a screening tool?

7           Next, could the FLAG 2010 Q/d less than 10 waiver  
8 for modeling of AQRVs also be applied to PSD increment for  
9 each pollutant? There's another screen that you could use  
10 that would help us reduce the time and effort and energy.

11           And in conclusion, AWMA would welcome the oppor-  
12 tunity to work with EPA on resolving any of the issues  
13 addressed. Details and discussion of our comments will be  
14 submitted to the docket to supplement our presentations here.  
15 And AWMA appreciates the opportunity and EPA's effort to  
16 accommodate our request to present these comments. Thank you  
17 very much.

18           Mr. Bridgers:           And our appreciation to both  
19 David--well, all three, David, Mark, and Gale--for their  
20 comments, and we're staying on schedule.

21           So we will switch from AWMA comments--I believe  
22 I've got the right presentation. Is that it? And next up,  
23 Chris, I'll let you identify yourself.

24           Mr. DesAutels:           Thank you. Good afternoon. My  
25 name is Chris DesAutels. I work with Exponent. I'm here to

1 offer comments on behalf of Exponent. We are the developers  
2 and the maintainers of the CALPUFF model. Listed here are  
3 some other members of the Exponent team who have been  
4 involved in developing and maintaining the CALPUFF model.

5           The primary purpose of this presentation is to  
6 address some concerns that have been raised about CALPUFF as  
7 part of the rulemaking process. Specifically up to this  
8 point, CALPUFF has been part of the guideline models and it  
9 has been an integral part of the modeling process. "CALPUFF  
10 dispersion," as stated here, "had performed well and in a  
11 reasonable manner with no apparent bias towards under or  
12 overprediction, so long as the transport distance was limited  
13 to less than 300 kilometers."

14           There have been several documents that are  
15 included as part of the proposed regulatory docket that have  
16 raised concerns about the CALPUFF modeling system. And I  
17 just want to address some of these and at least open the  
18 conversation about possible resolution of these matters so  
19 that CALPUFF can remain as part of the available models that  
20 can be used and be part of the suite of models that will  
21 allow us to implement the best science because there are  
22 going to be needs for non-steady state modeling. There's  
23 going to be needs for long range transport modeling, complex  
24 terrain. And CALPUFF is well positioned to achieve these  
25 goals so long as some of these issues can be resolved with

1 all the stakeholders involved and there can be the confidence  
2 developed to move it forward.

3           So there are three specific documents that are  
4 part of the docket that I want to address or at least discuss  
5 today: the preamble to the proposed rulemaking had some  
6 specific statements and concerns raised; the supplemental  
7 information for the IWAQM Phase 2 recommendations; and then  
8 there was a memo on CALPUFF's ownership since 2003  
9 promulgation.

10           Initially with the preamble to the proposed  
11 rulemaking notice there was expressed concerns about the  
12 management and maintenance of the model code given the  
13 frequent change of ownership of the model code, and it also  
14 refers to uncertainties in the development process of the  
15 model.

16           Initially here I'd like to address the issues of  
17 the ownership. There is some uncertainty as to why this is a  
18 significant concern despite--there have been two changes of  
19 ownership of the CALPUFF model, but the personnel maintaining  
20 the model have continued. There's been a continuous  
21 representation of the same personnel maintaining the model.  
22 So there has been continuity.

23           The model has been freely available at the same  
24 web site, so there's no mystery as to what the official model  
25 is or where you reach it. And the model developers have

1 provided EPA with a copy of the CALPUFF updates and main-  
2 tained both an EPA regulatory version which incorporates  
3 primarily bug fixes, and a separate version which  
4 incorporates model enhancements. CALPUFF does meet all the  
5 requirements list in section 3.1.b of the *Guideline* for an  
6 EPA approved model.

7           So the question is how do ownership changes fit  
8 into the structure of a guideline model or any model for use  
9 in regulatory purposes? This is not to say that any change  
10 of ownership is problematic. It's just to point out that it  
11 is fairly common. It happens in the industry with modeling,  
12 and there's a lot of update to all models. So how are we  
13 going to proceed forward if change of ownership is a signifi-  
14 cant concern for any of the models that are addressed here  
15 and are part of the future modeling suites that are going to  
16 be used?

17           The second section of the preamble that discussed  
18 CALPUFF was the change in the language for complex winds. It  
19 has been removed--it has removed the use of CALPUFF  
20 specifically. There is no specific technical basis really  
21 provided for this change. It refers to technical issues, but  
22 there's no specific citation of what the technical issue  
23 that's being referenced at this point is.

24           And the current guidelines state that "The purpose  
25 of choosing a modeling system like CALPUFF is to fully treat

1 the time and space variations of meteorology effects on  
2 transport and dispersion." This is a necessary process  
3 that's going to continue to occur and it's continually going  
4 to need to be addressed.

5           There will be need to be a model to address this,  
6 so we believe that CALPUFF is still well situated to provide  
7 this service, to do this type of modeling. And we don't see  
8 the reason for there to be a change in the status for that  
9 specific purpose.

10           The second document that I referenced here is the  
11 supplemental information for IWAQM's Phase 2 recommendations.  
12 EPA observes that CALPUFF--it has a series of specific  
13 concerns about the technical nature of CALPUFF, some of these  
14 which were mentioned earlier today.

15           EPA observed that CALPUFF does not include photo-  
16 chemistry for modeling of SO<sub>2</sub>, NO<sub>2</sub>, sulfates, or nitrates.  
17 CALPUFF has however up to this point been extensively used in  
18 regulatory applications for Class I AQRVs, for modeling  
19 deposition of sulfur and nitrogen and for visibility.

20           And we believe that it can be enhanced, that there  
21 can be improvements to the science and the model of CALPUFF  
22 that will allow the Lagrangian type model to interact with  
23 grid models to ingest ambient fields of oxidants and ammonia  
24 and achieve more accurate results and achieve some of the  
25 goals in a reasonable fashion that could be productive and

1 useful going forward.

2           And we have interest in seeing that happen and  
3 working to achieve that goal with EPA and any other  
4 stakeholders that are interested in that possibility. It  
5 will offer another opportunity for how to accurately predict  
6 secondary PM<sub>2.5</sub> and will advance the science of modeling.

7           EPA states also in that document that CALPUFF  
8 cannot model single source impacts on ozone. And in general,  
9 we agree that probably a full chemical grid model is more  
10 appropriate for those purposes. That's a new area, and a  
11 Lagrangian model is probably not the best served--best suited  
12 for that purpose.

13           The final observation, which is mentioned a few  
14 other places also, is that CALPUFF predictions are very  
15 sensitive to the CALMET meteorological processor. And  
16 different switch settings, different CALMET fields will  
17 produce different dispersion results.

18           There are alternatives available. We've heard  
19 some presentations today about using weather forecast models  
20 and MMIF in order to drive CALMET--I mean in order to drive  
21 CALPUFF or other dispersion models. That is a very  
22 productive and possibly a development that its time has come.

23           In the past when CALMET was originally developed,  
24 those models were not ready for providing that resolution of  
25 data. MM5 runs at that time were typically 80 kilometer

1 resolution. We needed a tool that would ingest observations  
2 and available prognostic data to achieve something that was  
3 realistic and useful for dispersion modeling. Now we may be  
4 ready to start looking at the use prognostic models more  
5 directly and we support that possibility.

6           Concerns about CALMET should be addressed and  
7 looked at, and we hope to examine those closely as they  
8 arise, but it shouldn't affect the status of the CALPUFF  
9 because there are other options. I'd also like to point out,  
10 though, that all models, especially all three dimensional,  
11 non-steady state models will be sensitive to meteorological  
12 inputs.

13           And there is going to be a lot of skill in  
14 developing those accurate meteorological fields, no matter  
15 what model is in the process flow stream, whether it's  
16 CALMET, whether it's MMIF, interpreting WRF. WRF has a  
17 variety of different schemes and settings that can produce  
18 very different results. And they have to be evaluated for  
19 each application to ensure that they're producing accurate  
20 flow fields because they will also produce sensitivities in  
21 the meteorological dispersion models that come after them.

22           So this isn't a problem that is exclusive to  
23 CALPUFF or CALMET. It's something we're going to have  
24 develop skill and expert judgment on going forward and have  
25 procedures for identifying when we have accurate meteoro-

1 logical fields for any dispersion model.

2           The third--the other concern identified in that  
3 document was generally about evaluation studies and CALPUFF's  
4 performance in various evaluation studies. A specifically  
5 cited group of evaluation studies included a couple that have  
6 been reevaluated as time passed and they were looked into in  
7 more depth.

8           And some of the concerns or poor performance that  
9 was shown by CALPUFF were identified to be other issues,  
10 sometimes related to meteorological issues, some switch  
11 settings, and specifically you're speaking about the ETEX  
12 model. And also some of those evaluations extend far beyond  
13 what would generally be considered to be long range transport  
14 studies. They extend well beyond 300 kilometers up to  
15 several thousand kilometers.

16           So a more general recommendation about the  
17 evaluation studies is that they shouldn't necessarily stop at  
18 developing a scorecard. And that's not to say that the  
19 evaluation study that does develop a scorecard is problematic  
20 or improper or not helpful. It's just that can't be the  
21 final step of the process.

22           There needs to be an evaluation of why models  
23 didn't meet the performance criteria that they were expected  
24 to. What happened? What went wrong? Was it poorly  
25 performing model algorithms, things that should be updated,

1 things that should be changed and proved based on better and  
2 more current science? Were there problems with the input  
3 data, especially meteorology, which, as we said, is a very  
4 sensitive input to the dispersion models? Do you need more  
5 meteorology, better meteorology, more accurate? Is it  
6 performing correctly?

7           Were there problems with model setups? There are  
8 a lot of options and switch settings that have to be set.  
9 Are there things that are just not set correctly in a given  
10 evaluation? That guidance should get out to the community so  
11 people know which switch setting--they're very sensitive and  
12 for which applications they should be applied, or is a limit  
13 on the model formulation? Is it something that a plume or a  
14 puff or a grid model just does not handle well?

15           Those are all possibilities about why a model does  
16 not meet performance goals that it might have. And  
17 determining which of those possibilities or what caused the  
18 poor model performance is critical to improving the model and  
19 getting the best science out of them.

20           Additionally, the statistics that are used to  
21 evaluate this model should be consistent with the goals we  
22 have for dispersion modeling so that we're measuring the  
23 correct things. So that's something to just--I know there's  
24 been a lot of work on developing the statistical measures,  
25 but that's something we should always keep our eye on.

1           The final document that I wanted to address was  
2 the summary of CALPUFF ownership. In addition to statements  
3 about the changes of ownership, there was also a citation  
4 that described "a lag in the ability for EPA to adequately  
5 understand, review and approve changes largely due to the  
6 lack of an open development process."

7           We'd like to develop that open development  
8 process. We believe it's important that there's confidence  
9 in the model and that all stakeholders feel that they  
10 understand what's included in it. We're committed and  
11 willing to work with EPA to do that and we're willing to  
12 discuss a wide range of options of how to achieve that goal,  
13 what it would take. I'm not going to try and formulate what  
14 that will be here, but that's a conversation that I think is  
15 probably--it's time and needs to be done.

16           I'm going to turn now to a few brief comments  
17 about AERMOD. Some of these have been well addressed. Mark  
18 covered many of these points and they've also been discussed  
19 today. And I think a lot of these were questions that--very  
20 helpfully a lot were addressed this morning. I'm sure  
21 they'll continually be addressed as the rulemaking process  
22 proceeds and people have more time to look at the models and  
23 the recommendations come forward.

24           There were some questions about how BLP performs.  
25 There's going to need to be some testing by all the parties.

1 Is BLP in AERMOD equivalent to BLP externally? Does AERMOD  
2 treat calm and low wind speed hours in the same manner?

3           We have some questions also about CAL3QHC similar  
4 to the ones that Mark had listed and involving negative  
5 emission rates. And the first two points up here have been  
6 addressed earlier this morning and that's very helpful to  
7 know the future status of the beta options within AERMOD and  
8 the plans for them. And that appears to be a very good  
9 advancement of the science.

10           There is still concern with the potential for  
11 long--for building effect about GEP stack height, which are  
12 now subject to downwash, how that was evaluated and further  
13 evaluation of that decision within AERMOD. PRIME was  
14 developed using data below GEP stack height--or stacks below  
15 GEP stack heights. These circumstances are outside of the  
16 general constructs of what was evaluated during the  
17 development of PRIME, so there should be more evaluation of  
18 that modeling. That concludes my remarks. Thank you.

19           Mr. Bridgers:           Thank you, Chris, for those  
20 remarks. And as I said off the record during the break, I'll  
21 say on the record we do wish that Joe could be with us to be  
22 in the dialogue today.

23           So I just wanted to make sure I had everything  
24 right. So Mark is up next. And Mark, you do need to  
25 identify yourself.

1           Mr. Garrison:           Thanks, George. Thanks for the  
2 opportunity again to present some comments. The three topics  
3 that I've listed here, CALPUFF, 30 miles, and roughness  
4 pretty much deal with some issues that are currently  
5 considered settled policy or settled guidance.

6           Of course the Appendix W proposals that we have  
7 paid so much attention to recently kind of put us in a brave  
8 new world in terms of--for the modeling community in terms of  
9 a couple of topics including the use of prognostic models for  
10 developing representative met data for local scale models and  
11 the development of guidance and policies related to the use  
12 of chemical transport models for ozone and PM<sub>2.5</sub> on the local  
13 scale.

14           I think I and probably most modelers are pretty  
15 excited about these developments and look forward to  
16 proceeding down that path. As a matter of fact, as some  
17 earlier presenters attested, I get choked up when I think  
18 about this. But anyway, EPA might not agree with this, but I  
19 would think there's no time like the present, given these--in  
20 light of these developments to possibly reconsider or at  
21 least think about some of the settled policy and guidance  
22 issues.

23           The things I'm going to talk about today are  
24 CALPUFF. As an Appendix A long range transport model, I'm  
25 not going to address that particular comment. That comment

1 has been made by others. My focus is on keeping CALPUFF as a  
2 candidate at least for local scale analyses. This  
3 presentation is focused on that.

4           30 miles, of course, if you haven't figured out by  
5 now is equal to 50 kilometers. And the discussion is about  
6 using straight line, steady state models out to 50  
7 kilometers. In terms of the transition from real sort of  
8 steady state conditions to non-steady state should really not  
9 be a bright line with discontinuities.

10           Lagrangian models in theory can simulate this  
11 transition without discontinuities. And I guess in my view  
12 there ought to be something between the true steady state  
13 local scale analysis and analyses have to look out to 50  
14 kilometers.

15           The last topic is in terms of roughness length,  
16 how to specify roughness length for input to AERMET. And the  
17 question is, you know, roughness at the measurement or the  
18 application site.

19           Well, why do we need the Lagrangian model at all?  
20 I think it largely has to do with wind speeds and plume  
21 transport distances. These two circles are both 50  
22 kilometers. The first one represents transport of a plume  
23 from the center of this circle outward to 50 kilometers, and  
24 each of the smaller circles represent 1 hour transport time.

25           And this kind of stuff I think is kind of

1 intuitive to modelers, but when you look at it this way, you  
2 know, it takes 13 hours, nearly 14 hours for a plume to  
3 travel from the center of the circle out to 50 kilometers.  
4 And the plume can experience changes in land use, changes in  
5 winds, changes in stability, night could turn into day, day  
6 could turn into night during that transport time.

7           And especially, if you have sources in that area  
8 that you're modeling in conjunction with the source in the  
9 middle of the circle, it raises issues that make modelers  
10 cringe sometimes that the time sequence is not really  
11 correct. The plot on the right of course looks a little bit  
12 better at higher wind speeds, but quite often the low wind  
13 speed cases are the controlling cases.

14           And I think, you know, it's encouraging to hear in  
15 the presentations and in the proposal that, you know, to do  
16 multisource analyses we should really be focusing on areas  
17 from 10 to 20 kilometers and not beyond that. But there are  
18 questions that frequently are raised about sources at  
19 distances greater than 20 kilometers, and it would be nice to  
20 have a tool to deal with those distance ranges.

21           Again, why do we need the Lagrangian model? Well,  
22 the atmosphere is a complex place and complex winds exist  
23 even on the local scale. And we do know that there's an  
24 option in the guidelines to justify a Lagrangian model on the  
25 local scale due to complex winds. It's a very difficult

1 process that I've tried to go through a couple of times  
2 without success.

3           But I have some illustrations here that take a  
4 look at a 1 hour event with variable winds throughout the  
5 hour. I used CALPUFF in ten minute time steps based on  
6 meteorological data that was actually collected at five  
7 minute intervals. So this was sort of an unusual situation,  
8 but not too unusual if you consider that with AERMET we could  
9 theoretically develop this kind time resolution even with  
10 airport data. And then I look at AERMOD on an hourly average  
11 time frame.

12           This is basically a theoretical source located in  
13 complex terrain. The plots illustrate each ten minute time  
14 step starting with the first ten minute time step. So in the  
15 lower--the newer puffs that are released from the source by  
16 CALPUFF in green--they kind of go down in age as the colors  
17 suggest. It's kind of hard to see the colors, but I think  
18 you'll get kind of the gist as we go through these.

19           The contours are sort of relative concentration  
20 contours. This is the first ten minute time step, second ten  
21 minute time step, third ten minute time step, fourth ten  
22 minute time step, fifth ten minute time step, and final ten  
23 minute time step. And if you look at the hourly average wind  
24 speed and direction for this generic source, this is what  
25 AERMOD would predict.

1           Now, absolutely this is not intended to invalidate  
2 AERMOD nor is it intended to validate CALPUFF. But it is  
3 intended to kind of get across the point that it would be  
4 helpful to have a Lagrangian model available and an  
5 Lagrangian approach for all scales, ideally one that  
6 simulates the steady state result for the appropriate  
7 settings for steady state situations and also ideally  
8 simulates the atmospheric chemical transformation at all  
9 scales that we are looking for in the Appendix W proposals.  
10 And I know we're going to hear later this afternoon about  
11 SCICHEM and SCIPUFF. And I think, you know, certainly that  
12 direction provides a promising direction for this. And  
13 pretty much only a steady--a non-steady state model can  
14 handle the transition from steady state to temporal  
15 variations without discontinuities.

16           So pretty much the recommendation is to keep  
17 CALPUFF as a candidate for local scale analyses for the time  
18 being. And as policy guidance and models are developed for  
19 chemical transport models on a local scale, consider--this  
20 will never happen--consider reevaluating the 50 kilometer  
21 applicability range for AERMOD, and also consider evaluating  
22 CALPUFF with some of the suggestions that Chris had possibly,  
23 along with the evaluations of other models.

24           The second part of my discussion is on roughness  
25 with a focus on  $z_0$ , which is roughness. Current policy of

1 course is to specify land use characteristics for the  
2 measurement site, using AERSURFACE to determine land use  
3 characteristics based on the data set for which it's  
4 developed, 1992 NLCD data.

5           These characteristics then inform the AERMOD  
6 interface in terms of its creation of a complete profile of  
7 winds, temperature, and turbulence. So this presentation  
8 will--this part of the presentation will look at three  
9 things.

10           As we all have encountered from time to time, the  
11 1992 data can be out of date and sometimes badly out of date.  
12 I'll have a brief discussion about site characteristics  
13 versus measurement location characteristics, and then another  
14 quick look at what is upwind or how do you define upwind in  
15 terms of determining the surface characteristics.

16           This is an example of NLCD 92 for a power plant  
17 site where most of the area is classified as either water or  
18 quarry, strip mines, and gravel, obviously clearly out of  
19 date and incorrect. I think many of us have encountered this  
20 before and have developed methods to essentially redo the  
21 land use classification here, which is, you know, more  
22 reflective of what that site actually looks like in terms of  
23 development and areas that are not fully developed and  
24 enforested areas.

25           One of--I thought it was kind of an interesting

1 example that Rich Hamel found in Victoria, Texas. If you're  
2 looking at the site characteristics for this airport  
3 southwest of Victoria, it might look--well, it sort of looked  
4 like an airport, but then with access to Google Earth, we  
5 realized that it is no longer an airport. It has a road  
6 running through it and the runways have all been developed.  
7 So just a word of caution in terms of using 1992 land use.

8           As I mentioned, the surface characteristics,  
9 especially  $Z_0$ , inform the AERMOD interface in creating a full  
10 profile of winds, temperature and turbulence. If there are  
11 differences in roughness length between the airport and the  
12 site--and I have yet to encounter an airport that is a  
13 perfect match for an application site--what do you do?

14           I mean, you know, one conclusion, the airport is  
15 not representative enough to collect on-site data, or the  
16 other option is to run AERMOD both ways with both sets of  
17 land use, which is not a very satisfying way of answering  
18 that question, or perhaps using the site roughness provides a  
19 better profile representation.

20           And of course I'll have to mention that the  
21 potential for using prognostic meteorological data, wind and  
22 temperature profiles, also calls for some consideration of  
23 how to characterize land use at the application site.

24           This is one of those hard to read slides and I  
25 apologize for that, but this is what the AERMOD interface

1 does. It takes the surface characteristics from AERMET. In  
2 this case--in this one hour case, the wind speed was 0.9  
3 meters per second. The airport roughness length is 0.13.  
4 The site roughness length is 1.12 meters, so clearly very  
5 different.

6           And if you look at the profiles, both in terms of  
7 where the mechanical mixing height is, the wind speed  
8 profile, the temperature reading profile, and the profiles of  
9 turbulence, they are obviously very, very different. And  
10 this would lead one to the conclusion that the airport was  
11 not representative of the site.

12           But I think just taking a step back for a minute,  
13 the important thing to remember is that the only parameter  
14 you're getting from the airport, the only measurement, is  
15 really the wind speed. So if you can make the case that the  
16 wind speed is representative of the site, however you would  
17 do that, then I think that it is pretty clear that the site  
18 roughness length actually creates a better profile for  
19 modeling at that site than the--than using the airport  
20 roughness length.

21           The last thing I want to look at is sort of a  
22 quick, simple look at a different way of defining upwind for  
23 AERSURFACE. And this is actually recognizing that AERSURFACE  
24 is not part of the formal AERMOD system, just a tool to  
25 develop the appropriate surface characteristics, this

1 approach might be one to be considered.

2           AERSURFACE--if you're looking at particular sector  
3 to develop  $Z_0$ , the sector ends in a point at the application  
4 site. If you have a site where stacks and sources are  
5 separated by, in some cases, several hundred meters, it might  
6 be more appropriate to use kind of wedge, as you see here, to  
7 characterize upwind characteristics for that particular site.

8           This is the kind of thing that can be done outside  
9 of AERSURFACE. The geometric weighted average,  $Z_0$ , can be  
10 calculated fairly easily outside of AERSURFACE, so just a  
11 suggestion as to something to consider if a site has sources  
12 that are not at the same point.

13           So in the brave new world, I guess the summary--  
14 the suggestions are keeping CALPUFF as an alternative for  
15 local complex winds. And I think Tyler's presentation  
16 indicated of course that's still an option, so it's not--the  
17 mention of it doesn't mean that it's not an option. But I  
18 think the suggestion is made to keep it in there as a  
19 example.

20           Consider revisiting the 50 kilometer application  
21 distance for AERMOD and ideally eventually substituting with  
22 an appropriate Lagrangian model; consider allowing the use of  
23 application site roughness in some situations. Using WRF and  
24 MMIF should be encouraged. And then, finally, you know,  
25 consider and evaluate different options for determining land

1 use specifications with MMIF generated wind and temperature  
2 profiles. 26 seconds left.

3 Mr. Bridgers: Thank you again, Mark. We're  
4 getting in the home stretch now, a couple more presentations.  
5 We're going to switch focus from CALPUFF to SCICHEM.

6 Mr. Chowdhury: Good afternoon. My name is  
7 Biswanath Chowdhury, and I'm a senior engineer at Sage  
8 Management, and I'm part of the team--development team for  
9 SCIPUFF and also SCICHEM. I would like to thank you for the  
10 opportunity to present the work on SCIPUFF.

11 So first, a lot of you know about AERMOD and  
12 CALPUFF, but very few modelers here know about SCIPUFF or  
13 SCICHEM, so I'll just go through the base development history  
14 of SCIPUFF and a description of the use of SCIPUFF.

15 So SCIPUFF is acronym for second order closure  
16 integrated puff model, so as the name implies, it uses second  
17 order closure for modeling of the turbulence parameters. And  
18 it's a puff model. More specifically, it's a Gaussian puff  
19 model. To represent a concentration field we use the sum of  
20 overlapping three dimensional Gaussian puffs and we step the  
21 model by solving ordinary differential equations for puff  
22 moments. The puff moments are the mass, the centroid, and  
23 the sigma.

24 This is just a brief development history of  
25 SCIPUFF, and I'll just give the highlights, and it's not a

1 comprehensive list. The development of SCIPUFF started in  
2 1984, and it was funded by EPRI. And in 1991 DOD used  
3 SCIPUFF for nuclear cloud rise model, and one of the  
4 important highlights is that DOD decided to use SCIPUFF as  
5 the core transport and dispersion model for HPAC, which is  
6 Hazard Prediction and Assessment Capability model, so SCIPUFF  
7 is the core transport model, and it has been so for--since  
8 today. So a lot of our work is funded by DOD.

9           In 1998 SCIPUFF was approved by EPA as an  
10 alternative model, and in 2000 EPRI funded development of  
11 SCICHEM 1.0 where we put in gas phase chemistry and aqueous  
12 phase chemistry in SCIPUFF so that it was named SCICHEM.

13           Other modifications for the SCIPUFF model  
14 development is that we added urban wind field model in 2001,  
15 then again in 2001 SCICHEM was included as a plume in grid  
16 model for the CMAQ advanced plume treatment. I won't go  
17 through the whole list, but the PRIME was added in 2004 to  
18 take into account building effects. We have WRF and RAMS  
19 support, which was added in 2011.

20           In 2012 a lot of the updates to the SCIPUFF model  
21 which were not there in the SCICHEM 1.0, so EPRI decided to  
22 update the SCICHEM model, and that's when we included all the  
23 updates which are made to SCIPUFF into SCICHEM 3.0. And  
24 Eladio, who is the program manager for SCICHEM, he will be  
25 making a presentation right after me.

1           So the development team is led by Dr. Ian Sykes.  
2 He is the Environmental Sciences Group manager. And he is in  
3 charge of overall model development, turbulence closure  
4 monitoring of dispersion and concentration fluctuation  
5 intensity. He has been the leader of the group for more than  
6 30 years.

7           Similarly, Dr. Stephen Parker, he's also with the  
8 group for more than 30 years. Doug Henn, he's an expert in  
9 the meteorology section, and he has been with us more than 25  
10 years. And I am responsible for the SCICHEM development.  
11 I'm one of the lead developers, and also I do the source  
12 estimation part of SCIPUFF, and I have also been with the  
13 development team for more than 15 years.

14           So what are the model capabilities of SCIPUFF?  
15 SCIPUFF can transport gases, liquids, or particles. It can--  
16 it includes the primary and secondary operation for liquids,  
17 and it can do dynamics. For example, it can do dense gas  
18 effects, and also if you have a jet or if you have a burn  
19 plume, it can handle that.

20           And there are a variety of release types that it  
21 can handle. The generic types are the instantaneous and  
22 continuous releases. It can have a moving release or a  
23 pooled release. It can also model jet releases, which can be  
24 horizontal or vertical jets. It can do burn sources or stack  
25 sources and also area and volume sources.

1           So some of the unique characteristics of SCIPUFF  
2 is that in addition to the mean concentration, each puff  
3 carries the variance also, so this allows SCIPUFF to take  
4 into account the rambling nature of the turbulence dispersion  
5 and also uncertainty in the source or in the regularity.

6           Each puff takes its own time step based on its  
7 evolution grid, so a puff which has been released for example  
8 at high momentum or buoyancy will take a smaller step.  
9 Similarly, it has an adaptive grid for the output, so the  
10 smaller puffs will have a smaller grid and the bigger puffs  
11 will have a bigger grid.

12           To properly represent the wind field, we split the  
13 puffs so that we can take into account wind shear and other  
14 effects, but when we split we get more number of puffs. So  
15 we have a merging algorithm also so that when the puffs grow  
16 they can merge together to reduce the number of puffs. And  
17 SCIPUFF can be used for multiple scales. It has been used  
18 from laboratory scale to global scale.

19           We do the model validation using various typical  
20 and experimental studies. Some of these are listed here. We  
21 have the PGT curves for short range and surface releases, the  
22 instantaneous dispersion data from Weil, Mikkelsen, and  
23 Hogstrom. We have used SCIPUFF compared with the laboratory  
24 dispersion data from Willis and Deardorff and also fluctua-  
25 tion data from Fackrell and Robins.

1           We have used SCIPUFF for continental scale field  
2 experiment ANATEX, which is across North America experiment.  
3 Also we have done validation with EPRI tall stack emissions  
4 experiment such as the Bull Run and Kincaid experiments.

5           Some of the other tests are listed here. One of  
6 them is ETEX. Eladio I think will be presenting a slide on  
7 ETEX. And we have found that it performs favorably compared  
8 to other long range transport models.

9           So what are the current research and development  
10 work that we're doing, and we are collaborating with a lot of  
11 other groups. One of them is the Los Alamos National Lab,  
12 where SCIPUFF is being integrated with the QUIC-Urban model  
13 so that it takes into account the building effects.

14           We are working with ENSCO for chemical deposition.  
15 SCIPUFF has been used as a plume in grid model for the  
16 CHIMERE model, which is a European model. We are working  
17 with ENVIRON to put in the gas, aerosol and aqueous phase  
18 chemistry for SCICHEM. We have worked with Penn State  
19 University group for ensemble modeling. And for source  
20 estimation we have worked for Aerodyne, worked with Aerodyne  
21 and NCAR.

22           So the systems which use SCIPUFF are--SCIPUFF is  
23 the core transport and dispersion model here for SCICHEM, and  
24 then the other one is the Hazard Prediction and Assessment  
25 Capability, HPAC, and the Joint Effects Model, which is also

1 part of the DOD models. And then we have the MSRAM, which is  
2 the Maritime Security Risk Analysis Model, and there are  
3 slightly different flavors for different departments.

4           We have been trying to parallelize the SCIPUFF  
5 code, and we have tried to use OpenMP, and as we were saying,  
6 we are working with LANL to get the QUIC-URB model integrated  
7 in SCIPUFF. And other work we're trying to do is with  
8 SCIPUFF as an inline component of WRF-ARW simulations, and  
9 also source attribution.

10           So we have had success with parallelizing SCIPUFF  
11 in that initially the challenge is that when you run a  
12 parallel--the code in parallel and in serial, you tend to get  
13 slight differences in results. And we have set up the code  
14 now so that there's hardly any difference in the concentra-  
15 tion and there's very insignificant difference in the  
16 deposition and the dosage.

17           And in the QUIC-URB integration, we--the QUIC-URB  
18 represents building flow and dispersion in near field using  
19 Lagrangian particles, and the model runs concurrently with a  
20 continuous transfer, so once the puff grows bigger, it hands  
21 over--the QUIC-URB model hands over the puffs to SCIPUFF for  
22 longer range dispersion.

23           And for the WRF integration we are investigating  
24 embedding SCIPUFF inside WRF-ARW so that we can run the  
25 dispersion in sync with the meteorology. And using this we

1 will have direct access to the full meteorological field from  
2 WRF.

3           Another area that we are working on is trying to  
4 get source attribution. In this we want to tag each source  
5 so that when we merge a puff we know that how much mass comes  
6 from that source, and using that we should be able to query  
7 the sampler and find out what is the contribution from an  
8 individual source.

9           So I would like to summarize that SCIPUFF R & D is  
10 ongoing in a managed environment, and the science in SCIPUFF  
11 is continuously being updated. The source of the core  
12 transport model is public domain, and we have worked with  
13 multiple contributors to advance the capabilities.

14           There is extensive model verification and  
15 validation. DOD has their own validation process. For  
16 example, for defense analysis we have found that SCIPUFF was  
17 underpredicting for convective cases, so we improved the  
18 SCIPUFF model to include skew turbulence and the results are  
19 much better than what it was before. So we are also  
20 committed to the regulatory air quality community.

21           Some of the applications that SCIPUFF is currently  
22 being used is for air quality permitting. It's part of the  
23 Appendix W alternative model. And also it's used for  
24 emergency response for DHS, Department of Homeland Security,  
25 and DOD and Coast Guard. If there are any questions, I can

1 send by e-mail.

2           Mr. Bridgers:           Thank you, Biswanath. As I'm  
3 transitioning slides and we hit the 5 o'clock hour, I know  
4 that some people may be leaving today for flights that are  
5 not going to be with us tomorrow. So if you are leaving  
6 today, I do wish you safe travels and appreciate your  
7 participation today.

8           And also, after we end the session, because I know  
9 there's going to be a mad dash for the door, I do ask if the  
10 regional modelers from the EPA would all congregate somewhere  
11 up here close to the front. I'd just like for all of us to  
12 get together for a minute or two. So now we will change  
13 presenters on SCICHEM to Eladio.

14           Mr. Knipping:           Thank you, everyone, and thank  
15 you, EPA, for this opportunity to speak on SCICHEM. I'm  
16 Eladio Knipping and I'm with the Electric Power Research  
17 Institute. I'd like to recognize my colleague, Naresh Kumar,  
18 who's in the room, and also the SCICHEM development team,  
19 particularly Biswanath, who just finished speaking, and  
20 Prakash Karamchandani from Ramboll Environ. They have been  
21 instrumental in developing the SCICHEM model.

22           As Biswanath mentioned, SCICHEM and SCIPUFF both  
23 simulate the evolution of puffs in the atmosphere. These are  
24 three dimensional Gaussian puffs, but the models themselves  
25 are Lagrangian models. In fact SCICHEM is a Lagrangian

1 photochemical puff model with different options for gas and  
2 aerosol chemistry, the most detailed of which are consistent  
3 with the mechanisms found in photochemical grid models. In  
4 summary, SCICHEM is also a photochemical model.

5           It is able to model the dispersion of primary  
6 pollutants and the formation of secondary pollutants. It can  
7 explicitly model the conversion of NO to NO<sub>2</sub>. It can be used  
8 to model ozone and secondary PM<sub>2.5</sub>. It can be used for near-  
9 source applications as well as long range transport  
10 applications. There is an option to simplify the chemistry  
11 for near-source applications. This refers to the NO to NO<sub>2</sub>  
12 conversion.

13           The features of SCICHEM 3.0. Its chemistry--the  
14 gas phase chemistry is based on the carbon bond 5 mechanism.  
15 And the aerosol and aqueous chemistry modules are based on  
16 CMAQ 4.7.1. So these are consistent, again, with photo-  
17 chemical grid models.

18           The dispersion, as Biswanath had mentioned  
19 earlier, incorporates the last ten years of improvements in  
20 the SCIPUFF model. It can treat point, area, and volume  
21 sources and it has the PRIME building downwash algorithm. It  
22 is able to be run in a manner which should be familiar to  
23 AERMOD users. And we have also the ability to specify  
24 background concentration fields based on photochemical grid  
25 modeling simulations.

1           A little bit of SCICHEM history. SCIPUFF, the  
2 dispersion component, was evaluated with tracer experiments  
3 and AERMOD databases, and then we developed SCICHEM in order  
4 to add chemistry into SCIPUFF. And it in turn was evaluated  
5 with power plant plume measurements. There were only  
6 sporadic incremental upgrades up to 2010, at which time a  
7 major upgrade effort was initiated around 2011.

8           SCICHEM was released as a public domain open  
9 source beta, the first beta of which was focused on modeling  
10 one hour NO<sub>2</sub> and SO<sub>2</sub>. It was released in the middle of 2013.  
11 The second beta for modeling both primary and secondary  
12 impacts was released in the middle of 2014. And what we were  
13 able to do during these beta periods was obtain extensive  
14 user feedback from a variety of federal, local, and  
15 consulting groups.

16           And the final version, SCICHEM 3.0, was released  
17 on Monday, August 10th, 2015. Several of you probably got  
18 spammed by me announcing the e-mail. It is located on the  
19 Source Forge web site, [sourceforge.net/projects/epri-](http://sourceforge.net/projects/epri-dispersion)  
20 dispersion. Again, it is available as a public domain, open  
21 source model.

22           SCICHEM evaluations have included theoretical  
23 studies and also evaluation with tracer experiments such as  
24 the European Tracer Experiment--I'll show a result of that--  
25 and also the AERMOD evaluation databases. Most importantly,

1 the photochemical grid modeling component has been evaluated  
2 with aircraft measurements, for example the TVA Cumberland  
3 plume during the Southern Oxidants Studies, the Dolet Hills  
4 power plant plume, which I'll show some results.

5           And ongoing, we have an evaluation with the 2013  
6 SENEX measurements from the Southeast Nexus Experiments.  
7 These were flights conducted by NOAA in 2013 as part of the  
8 Southeast Atmosphere Studies. And those include measurements  
9 of ozone and  $PM_{2.5}$ , so these will be rather exciting  
10 evaluations to perform. We also have an exploratory research  
11 study using measurements located at the Southeastern Aerosol  
12 Research and Characterization Study network sites.

13           On this slide I show the results of SCICHEM on the  
14 left and observations on the right for long range transport  
15 evaluation using tracer studies from the European Tracer  
16 Experiment in 1994. What we see is that there are consistent  
17 transport of the tracers, both when comparing the predicted  
18 concentration fields with the observations.

19           Now, this result is from the Dolet Hills power  
20 plant plume transects from the Northeast Texas Air Care  
21 (NETAC) 2005 Air Quality Study. And what we see for this  
22 simulation from left to right,  $NO_x$ ,  $NO_y$ , ozone, and  $SO_2$ . What  
23 we see is that, you know, the peaks for  $NO_y$ ,  $SO_2$ , and ozone  
24 are all within 20 percent of observed values. We are doing  
25 rather well with simulating this plume. This is an advanced

1 Lagrangian photochemical model accurately simulating ozone.

2           For the 54 kilometer downwind transect, the plumes  
3 tend to diverge a little bit from their center lines. And as  
4 many other presenters have said, it's really difficult to get  
5 the transport, you know, completely aligned. But the plume  
6 results are very consistent with the observations. And  
7 again, for ozone we are simulating the production of a 20 ppb  
8 ozone peak in the observations with an advanced Lagrangian  
9 photochemical model.

10           Now, one of the comments that we received during  
11 the SCICHEM beta periods was that the model needed to be  
12 stress tested, that we needed to be able to assure the  
13 community that the model could be run for annual simulations  
14 for different types of sources and in different chemical and  
15 meteorological environments.

16           So the objective of our stress testing is to test  
17 the robustness of the model for long term, annual applica-  
18 tions for these range of conditions and to demonstrate the  
19 calculation of secondary impacts in Class I areas by doing  
20 so. Our hypothetical sources are a power plant, a flare with  
21 highly reactive VOC emissions, and a petrochemical complex  
22 plume. In the interest of time, I won't be showing results  
23 for the domains that we have modeled. I will focus on the  
24 Southwest--what we're calling the Southwest Four Corners  
25 domain located in the Four Corners area.

1           For the power plant simulation--again, these are  
2 hypothetical sources--we are able to simulate PM<sub>2.5</sub> values in  
3 the range of .5 to 4.3 micrograms per cubic meter. Most of  
4 that is due to nitrate formation in the range of 0.4 to 4  
5 micrograms and maximum PM sulfate ranges from 0.1 to 0.4  
6 micrograms per cubic meter. Our ozone, fourth highest 8 hour  
7 average ozone impacts ranges, depending on location, from 3.3  
8 to 8 ppb.

9           For the highly reactive VOC flares, we have PM<sub>2.5</sub>  
10 impacts ranging from 0.3 to 0.6 micrograms per cubic meter,  
11 with the details following. The fourth highest 8 hour  
12 average ozone impact ranges from 0.6 to 3.9 ppb, consistent  
13 with the emissions that were used in this hypothetical  
14 scenario.

15           And for the petrochemical complex PM impact, we  
16 have also now some small amounts of secondary organic aerosol  
17 precursor emissions, toluene and xylene. So not only do we  
18 simulate the formation of nitrate and sulfate, but we  
19 simulate a very small amount of secondary organic aerosol.  
20 But we are able to simulate secondary organic aerosol. In  
21 fact we are able to simulate secondary PM formation  
22 consistent with the emissions in all scenarios, and as well  
23 as we can model formation of ozone consistent with the  
24 emissions that were generated from these sources.

25           So in summary of the stress--let me summarize the

1 stress testing. We were able to conduct stress testing for  
2 selected domains and source scenarios. And the average--the  
3 run times for these annual simulations range from 20 to 80  
4 hours depending on the domain and source scenario. And what  
5 we're finding is that the model is robust.

6           So in conclusion, SCICHEM has been thoroughly  
7 evaluated throughout its history of development and shown to  
8 be a robust model that can handle different sources under  
9 different chemical and meteorological regimes.

10           SCICHEM has been demonstrated that it can be used  
11 to simulate pollutant concentrations accurately for different  
12 applications such as short range SO<sub>2</sub> simulations, short range  
13 NO<sub>2</sub> simulations, and long range ozone and primary and  
14 secondary PM<sub>2.5</sub> simulations.

15           Representative run times is around 15 to 30  
16 minutes for annual SO<sub>2</sub> simulations, 20 to 40 minutes for NO<sub>2</sub>  
17 simulations, and 20 to 80 hours for annual simulations with  
18 secondary pollutants. Let me just reiterate one more time:  
19 an advanced Lagrangian photochemical model that can simulate  
20 ozone and secondary PM<sub>2.5</sub>.

21           Additional details on SCICHEM can be found in the  
22 following peer reviewed journal publication in addition to  
23 the documentation included with the model. The citation is  
24 shown on the slide. It is an open access article, so it is  
25 free to download, and I will not say the actual URL because

1 that wouldn't be nice. Thank you.

2 Mr. Bridgers: Thank you, Eladio. Eladio is  
3 helping you get out the door just a little bit sooner. So we  
4 have one more talk. In this one Rob Kaufmann is going to  
5 give some comments on behalf of the NAAQS Implementation  
6 Coalition. And Rob, just to be nice, I have a background  
7 slide for you.

8 Mr. Kaufmann: Oh, boy. I'm honored.

9 Mr. Bridgers: So Rob Kaufmann.

10 Mr. Kaufmann: Well, you can all read the  
11 slide. I'm Rob Kaufmann and I work for Koch Industries, and  
12 I'm here on behalf of the NAAQS Implementation Coalition.  
13 And Chet at the beginning of the day told me that since I go  
14 last, I have as long as I want. Fortunately for you, I do  
15 not have a 30 slide deck with embedded videos. I'm not  
16 planning to do any song and dance.

17 For the record I want to note that I am not  
18 related to Andy Kaufman, so I'm not planning to sing or lip-  
19 synch the words to the Mighty Mouse theme. However, I think  
20 it might be appropriate, if you are familiar with the Mighty  
21 Mouse them, with a couple of subtle changes, it could have  
22 been the theme song for this conference, "Here we come to  
23 save the day. EPA's Appendix W fixes are on the way."

24 Audience member: Sing it.

25 Mr. Kaufmann: What I do have--and I'm not

1 looking for any comment from EPA on that, but it would have  
2 been good to start the day with that theme song.

3 I do have a very brief statement, and fortunately  
4 or unfortunately for you, it was drafted by lawyers. I'm not  
5 a modeler. I'm not an engineer. I'm not a lawyer, so bear  
6 with me. For those of you who aren't familiar with the NAAQS  
7 Implementation Coalition, it's comprised of trade associa-  
8 tions, companies, and what the drafter of this called other  
9 entities who confront challenges in the permitting and  
10 operation of their facilities under increasingly stringent  
11 NAAQS.

12 And our coalition has been in regular contact with  
13 EPA starting at the very highest levels, Gina McCarthy, Janet  
14 McCabe, and down to the level of Chet and his team here at  
15 the Office of Air Quality Planning and Standards. And we  
16 have been working with them and discussing the development of  
17 tools and policies and guidance to address the issues that  
18 arise as the NAAQS have been pushed beyond their limits by  
19 new and more stringent air quality standards. And we hope to  
20 keep that dialogue open and in fact plan to keep that  
21 dialogue open.

22 A lot of coalition members--and there are a lot of  
23 coalition members in the audience, API, AISI, AFPA, NCASI--  
24 they've been investing resources and testing and modeling  
25 tools that have been provided to EPA. And in fact some of

1 those results were the basis for some of the fixes to  
2 Appendix W.

3           And we really appreciate all the work that EPA has  
4 done over the last couple of years. They've identified some  
5 serious problems with the models. They've attempted to  
6 address them. However, as a coalition, we think that some of  
7 those problems still exist and have not been resolved.

8           And it's probably no surprise to you that since we  
9 represent industry that it's our view that current  
10 implementation policies and modeling tools continue to over-  
11 predict and in some cases significantly overpredict emission  
12 impacts, resulting in model results that do not reflect local  
13 air quality or public exposure.

14           Now, in our far distant past when NAAQS were far  
15 less stringent, there was what I might call headroom that  
16 would allow the overly conservative assumption of the models,  
17 especially as applied to PSD permitting, to not really  
18 present any significant modeling problems.

19           But as the standards have gotten tighter, the  
20 conservative nature of some of these modeling tools leads to  
21 the overprediction which I just referenced and could cause  
22 states to have to incorporate overly burdensome emission  
23 limits in both their attainment and nonattainment SIPs.

24           The proposed changes to Appendix W and many of the  
25 justifications for those changes were just released, as we

1 all know. And coalition members are still evaluating them,  
2 reviewing them, and testing them. Some of that testing has  
3 been discussed at length today.

4           We are pleased to see that some of the--that based  
5 on our preliminary reviews some of those changes have  
6 resulted in significant improvements, but we believe that  
7 there is a continued need for collaboration between industry  
8 and EPA as we go forward with some of those model fixes, and  
9 AWMA presentations noted that as well. So we concur with  
10 that finding. And we will be providing some more in depth  
11 comments for the record once we've had time to fully dive  
12 into the Appendix W *Federal Register* notice.

13           In closing, in closing, we would note that  
14 although EPA acknowledges that there are some instances  
15 where, quote, the preferred air quality model may be shown to  
16 be less than reasonably acceptable, unquote, the new document  
17 shows a preference for modeling analyses over monitoring.

18           And it is our ongoing belief that a modeling based  
19 approach will increase the challenges to businesses and  
20 detract from the Clear Air Act's goal of ensuring that  
21 economic growth will occur consistent with the preservation  
22 of existing clean air resources. And that's it. I'm done.  
23 And I guess we can adjourn with George's permission. Thank  
24 you.

25           Mr. Bridgers:           Thank you, Rob. Yes, actually

1 that's one of the next official duties that I can do. But as  
2 I go through the official process of suspending for the night  
3 the conference and public hearing, a quick reminder that we  
4 do start at 8:30 in the morning. We do have ten more public  
5 presentations before we get to any additional oral comments.

6           The only other thing I would have to say is I  
7 think they're a little grouchy if you're hanging around here  
8 after 6 o'clock. So if you are a visitor and not an EPA  
9 employee, probably aim to be off campus in the next, you  
10 know, 30 minutes or so. But again, I hope you have a  
11 wonderful evening. For those that are traveling, I hope you  
12 have safe travels back. I suspend the conference and public  
13 hearing until 8:30 tomorrow morning.

STATE OF NORTH CAROLINA

COUNTY OF WAKE

**C E R T I F I C A T E**

I, Kay K. McGovern, do hereby certify that the foregoing pages 5 through 246 represent a true and accurate transcript of the proceedings held at the United States Environmental Protection Agency in Research Triangle Park, North Carolina, on Wednesday, August 12, 2015.

I do further certify that I am not counsel for or employed by any party to this action, nor am I interested in the results of this action.

In witness whereof, I have hereunto set my hand this 10th day of September, 2015.

/s/ Kay K. McGovern

Kay K. McGovern, CVR-CM  
Court Reporter