

UNITED STATES OF AMERICA
ENVIRONMENTAL PROTECTION AGENCY

NINTH CONFERENCE ON AIR QUALITY MODELING

EPA Auditorium
109 TW Alexander Drive
Research Triangle Park, NC

October 10, 2008

V O L U M E 2 O F 2

P A G E S 1 - 317

The above entitled meeting was called to order by Tyler J. Fox

PRESIDING OFFICER:

TYLER J. FOX
Group Leader
Air Quality Modeling Group (C439-01)
Office of Air Quality Planning and Standards
EPA
Research Triangle Park, NC 27711

A P P E A R A N C E S

Presiding: Tyler Fox, Leader, Air Quality Modeling
Group, EPA

T A B L E O F C O N T E N T S

Topic	Presenter	Page No.
Opening Remarks	Tyler Fox	6
Long Range Transport Evaluation	Bret Anderson	6
Questions	Audience	39
Atmospheric Model Evaluation Tool	Wyat Appel	50
Comments on Evaluation Procedures for Air Quality and Meteorological Models	Bob Paine	62
AERMOD Evaluation for Non-Guideline Applications	Roger Brode	72
Introduction to Long Transport Models	Bret Anderson	93
Overview of the HYSPLIT Modeling System for Trajectory and Dispersion Applications	Roland Draxler	96
Overview of the Puff- Particle Model (PPM)	Joe Scire	118
Development & Application of Advanced Plume in Grid (PiG) Multi-Pollutant Models	Prakash Karamchandani	125
Lunch Recess		135
Single Source Modeling With Photochemical Models	Kirk Baker	135
Single Source Ozone and PM Modeling	Ralph Morris	146

T A B L E O F C O N T E N T S

(Continued)

Topic	Presenter	Page No.
Questions	Audience	155
Comments on Behalf of American Petroleum Institute	Bruce Egan	158
Use of CALPUFF for Regional Oil & Gas Analyses	Doug Blewitt	170
NOAA Reanalysis Data	Peter Manousos	180
Introduction to AWMA AB3 Presentations	George Schewe	186
Comments on Building And Terrain Downwash Issues	Ron Petersen	188
Comments on Use of Gridded Meteorological Data	Joe Scire	195
Comments on Modeling PM 2.5 Emissions	Bob Paine	198
Comments on AERMOD	George Schewe	204
Comments on CALPUFF	Gale Hoffnagle	208
Comments on Behalf of Utility Air Regulatory Group (UARG)	Penny Shamblin	212
Regulatory Air Quality For Next Generation Computers: Prospects And Challenges	George Delic	219
General Comments on Approaches to Modeling	Mark Garrison	225

The following NINTH CONFERENCE ON AIR
QUALITY MODELING, was held at the United States
Environmental Protection Agency, Building C, Auditorium
C-111, Research Triangle Park, North Carolina, and was
transcribed by, Judy D Hall, Transcriptionist, Quality Staffing,
Cary, NC on Thursday, October 10, 2008, commencing at 8:30 a.m.

2 Tyler Fox: We got a little off schedule

3 yesterday afternoon at the end so we have some
4 revisions and catch up to do today. We'll bypass
5 the summary of day 1 and jump right in of the
6 continuation of the CALPUFF session, but in order
7 to facilitate that further what we'll do is have
8 Bret take his evaluation of Long Range Transport
9 and combine it with what he was going to do in
10 respect to CALPUFF. So we'll start with those
11 two and have our Q&A sessions and go into the
12 model evaluation session right after that.

13 Here's Bret.

14 Bret Anderson: We kind of had a change in

15 the schedule as Tyler mentioned and the
16 presentation I was going to give yesterday
17 afternoon was on the performance evaluation
18 project I was working on when I came out here on
19 detail for OAQPS.

20 Later on in this session we were suppose to
21 talk about the methods and metrics that were used
22 in that. I thought it might be worthwhile rather
23 than have it in reverse order to actually give
24 this first so that there was a little bit of
25 explanation of the methodology that we were

2 employing in evaluating CALPUFF and the other
3 long range transport models that we were looking
4 at.

5 The evaluation paradigm for long range
6 transport models. LRT models play a unique role
7 in air quality modeling. This class of models
8 plays several roles. In the non regulatory
9 sense, we use them for emergency response
10 modeling so we use non steady state (inaudible)
11 puff model, particle model for these types of
12 activities. In the regulatory community we use
13 these for Class I increments and for what we call
14 visibility (inaudible) modeling. As such as Joe
15 had mentioned yesterday, the causability effects
16 accumulative analysis he's placed an additional
17 level or you know replaced the requirement for
18 additional level of skill to reflect both space
19 and time considerations of the LRT model use. As
20 such, we believe statistical measures should
21 examine spatiotemporal pairing ability of LRT
22 models. This project and I'll get more into it
23 when we get into the project but the over arcing
24 goals of this project were to develop
25 meteorological and tracer databases for

2 evaluation of long range transport models.

3 As you know, there have been a number of

4 mesoscale tracer studies but there is no one

5 archive of these data sets. So the first goal

6 was to assemble an archive of both meteorological

7 and tracers for observations that we can use for

8 standard evaluation. Develop a consistent and

9 objective method for evaluating long range

10 transport (LRT) models used by the EPA.

11 What we've learned from this and I think

12 this is one of the more important aspects of it

13 is to reflect what we've learned from those

14 evaluations and reflect that in our guidance.

15 For example we will talk a little bit more about

16 the update of the IWAQM and Phase 2 guidance is

17 to use the lessons that we have learned from

18 these evaluations to update that guidance.

19 There were several methods I think I'm a

20 little bit out of order here. The background

21 evaluation on the original performance

22 evaluations there were three or four evaluations

23 done on these mesocale tracer studies. The two

24 that you can find on the EPA web site are done by

25 the Great Plains Tracer Mesocale Tracer Study and

2 the Savannah River, and the INEL74 study in
3 1974 and the measures employed for these studies
4 I called them the Irwin methodology. They focus
5 on the plume center line statistics and so those
6 were the methods that were used for that
7 particular study. That was one method we used to
8 do the evaluation was just try to repeat what
9 John had done in those previous studies.

10 In addition to the Irwin methodology, we did
11 decide to augmented statistical measures focusing
12 upon spatiotemporal comparisons of model-
13 observation pairings. This is the Irwin
14 methodology and kind of how I have it broken out
15 in terms of the logical how it's organized
16 logically. It's broken into three segments where
17 you see the spatial component, a temporal
18 component, then a performance component.

19 The spatial component consists of looking at
20 the model's ability to correctly predict the
21 azimuth of plume centerline on an arc. Then it
22 also looks at the horizontal spread of the plume
23 to see how well how low in space it is you know
24 the definition of the horizontal of the plume.
25 For temporal pairing we looked at plume arrival

2 time and transit time on an arch. For
3 performance we looked at things crosswind
4 integrated concentration and observed the fitted
5 maximum concentrations on that arch. That method
6 that John had employed to basically compute n-
7 hour average so depending upon however the
8 sampling frequency was and the duration of the
9 sampling on the arc was to create like a three
10 hour or twelve hour arc concentration on that
11 arc. Then to use trapezoidal integration program
12 to fit an average plume on arc so these were
13 programs that John had written ten years ago that
14 we had the pleasure of figuring out how they
15 operate.

16 In addition to this, we augmented that
17 analysis with the evaluation procedures that have
18 been developed for the (inaudible) 2 study so
19 these are articles that were published in the
20 Atmospheric Environment, Mosca et al. (1998) and
21 Draxler et al. (2001). These statistical
22 measures are a broad set of statistical measures.
23 They basically fall into four broad categories
24 that are Scatter, Bias, Spatial, Cumulative
25 distribution. I'll show you in a minute here.

2 This data set and these programs on the NOAA ARL
3 DATEM performance evaluation program. What we
4 did (STATMAIN) program and then augmented with
5 additional spatial statistics for false alarm
6 rates, probability of detection, and threat
7 scores to give us a little bit more flavor on how
8 the model is doing. This is just an example on
9 what NOAA has done in terms of trying to you know
10 there are archived so this is kind of our goal is
11 to have this sort of an archive so we can have
12 those performance those data base out there to
13 evaluate CALPUFF and the other models.
14 These are the statistical measures and these
15 are for Scatter. You have factor of exceedance
16 which ranges from -50% to +50% so the lower the
17 lower the score base the negative 50% is the you
18 know factor towards over prediction and the
19 positive score toward under to normalized. Then
20 you have the factor of 2 whichever one is
21 familiar with. The normalize mean square error
22 and then the correlation coefficient.
23 Cumulative distributions uses the (KSP)
24 Kolmogorov-Smirnov Parameter and basically it
25 looks at the maximum difference between the two

2 distributions of the model predictions. So this
3 is not pairing in space and time but just looks
4 at the absolute distribution and the differences
5 in the absolute distribution of the
6 concentration. For Bias, we have just mean bias
7 (B) and the fractional bias (FB).
8 Then for spatial statistics the metric
9 that's called the figure of merit in space (FMS)
10 and then we've added additional EPA metrics, the
11 false alarm rate (FAR), the probability of
12 detection (POD), and the threat score (TS). Then
13 Draxler in 2001 in the paper he wrote that is up
14 on the NOAA webs site introduced a final metric
15 which is basically a model success story, a model
16 ranking which looks at one major statistic across
17 each of those four broad categories to assign a
18 model score to see how well it did across each of
19 those parameters.

20 This is just the model ranking and you can
21 see it used the correlation coefficient
22 fractional bias to figure the merit in space and
23 the KS parameter and then assigns a score from 0
24 to 4, with 0 poorest and 4 best performances.
25 This is the unique measure that allows not only

2 allows to give you an idea how the model performs
3 across all the broad categories but also allows
4 for direct modeling or comparison because you
5 have one score that is assigned to ability so
6 when you are comparing your four models you can
7 see how they compare against one another very
8 easily.

9 This is an example from a trajectory
10 particle model that we evaluated as part of this
11 project. This is the (inaudible) part of the
12 model; this is a European tracer experiment and I
13 just wanted to show you this is what the results
14 come out from the stat name program that we were
15 working with. As you can see, we get all the
16 values; we get our fig of merit in space; we get
17 our false alarm ratio; the KS parameter, the
18 correlation of bias and the final model rating
19 down here.

20 This assigns an overall rank as to how well
21 the model performed in that particular tracer
22 study. That is the evaluation methodology used
23 for this statistical component of it. So that's
24 that portion of it. We'll get back on schedule
25 real fast today.

2 So this is what we were supposed to talk
3 about yesterday afternoon. As Tyler mentioned I
4 came down on rotation to OAQPS in January and my
5 project was to start this up basically. Back in
6 the 8th Modeling Conference - EPA recognized the
7 fact that CALPUFF model science had evolved
8 significantly and the IWAQM Phase 2
9 recommendations in many cases were clearly
10 outdated. We had the new turbulence options; we
11 had puffs splitting; we had all these other
12 things that clearly be used but were not
13 reflected in the EPA long range guidance.
14 So we discussed the need to form a committee
15 to prioritize or identify what the issues were
16 and to prioritize the tasks. Then we also the
17 need to form an updated model performance
18 evaluation to examine new science enhancements to
19 model which are not mentioned in the current
20 guidance which are not reflected in current
21 guidance. So we initiated this long range
22 modeling project and they said we are performing
23 five tasks for this project: The first one I
24 mentioned earlier is to assemble a tracer and
25 meteorological database for use with LRT model

2 evaluations. The ultimate goal would be to have
3 something similar what the NOAA archive is where
4 we have an archive of the meteorology so we'll
5 have the MM5 data that was run up there and have
6 all the observations within the program. Anybody
7 can go on the web site and get that data and do
8 the statistics themselves. That's the ultimate
9 goal as part of this project. Unfortunately I've
10 got the dog ate my lunch excuse in fact as Joe
11 had mentioned yesterday in trying to get the data
12 out in a timely manner has been kind of
13 difficult.

14 Back in June right before the Denver
15 meeting, we had all the data assembled that I was
16 working on and we had a hard drive failure. We
17 lost 90% of all we had been working on and we're
18 in the process of trying to reconstitute those
19 data sets and get those out there. So that was
20 an unfortunate set back in the whole thing.
21 That's the ultimate goal to get those data sets
22 assembled and get them up on the web site so that
23 everybody can look at. You know the (inaudible)
24 themselves similar to the datum web site and
25 similar to what Roger has on the web site for

2 SCRAM for the evaluation data sets for the
3 developmental data sets that were used for
4 AERMOD.

5 As I mentioned previously, the other goal
6 was to develop a comprehensive evaluation
7 framework (methodologies and tools) and I think
8 this is another point that Joe made a very good
9 point yesterday about you know this is a modeling
10 system we're talking about here. The dispersion
11 model can only perform as well as the
12 meteorological you supply it with. So another
13 part of this evaluation paradigm will be and I'm
14 not going to get into it today because we're
15 still wrestling with it a little bit is to look
16 at it as a coupled system. The model's ability
17 is only as good as your abilities to apply it
18 with meteorology. So that's going to be the
19 comprehensive evaluation framework looking at
20 both meteorological aspects of it and the LRT
21 model aspects of it.

22 Then basically like I said you're exercising
23 and testing the meteorological LRT models for the
24 assembled tracer database. Then like I said
25 you're exercising and testing meteorological and

2 LRT models for the assembled tracer database to
3 provide full documentation of model evaluation
4 measures and results from meteorological and LRT
5 evaluations. And then provide the ultimate goal
6 to updating existing EPA LRT modeling guidance
7 (IWAQM Phase 2) to reflect lessons learned from
8 this project.

9 From the guidance goals basically what we said
10 was to examine science evolution of CALPUFF
11 modeling system to incorporate recent
12 enhancements to model system in updated guidance
13 but there were some overarching questions is that
14 you can see comments that were made in the 7th and
15 8th Modeling Conference that talk about these
16 things. Can puff-splitting extend the effective
17 range of CALPUFF beyond recommended distance of
18 200-300 km? At the 7th Modeling Conference, EPA's
19 response comments said that they were anxiously
20 awaiting any tracer evaluations that had been
21 done that would do this. They said and as soon
22 as those results were available they would put
23 them up on the SCRAM web site. That was 2000 and
24 now its 2008 and none of that are up there. In
25 the absence of doing that we're going to try to

2 fill that void.

3 The next question is can guidance migrate to
4 recommend turbulence based dispersion (CALPUFF
5 and AERMOD options) over P-G? As Tyler
6 mentioned, back in 2006, EPA issued a Model
7 Clearinghouse memorandum basically in agreement
8 affirming that more tests needed to be done.
9 That's part of this thing is to evaluate against
10 these tracer data bases looking at both
11 P-G and turbulence options there. Then the final
12 one as Bill was mentioning yesterday was how best
13 to supply meteorological data to CALPUFF? As you
14 know, it is like any other transport model and it
15 is very sensitive to wind field (inaudible) you
16 know things like that.
17 I realize this is a statement you make to
18 see how best to apply the meteorology to it
19 because you can't have one set of fixed options
20 in CALMET. Perhaps Hybrid method verses NOOB = 1
21 or NOOB = 2. Maybe there's a better was to do
22 it so that's one of the goals to evaluate the
23 different ways in which we supply data to CALMET
24 to see is there something or one that is better
25 than another.

2 The tracer experiments that we have
3 currently we have the Great Plains Tracer
4 Experiment which we are currently and will show a
5 lot today. Savannah River Laboratory Tracer
6 Experiment which was another one which had been
7 done. That one is underway. We had started with
8 the Cross-Appalachian Tracer Experiment but that
9 was one you know where the dog ate my lunch or
10 ate my homework. That one suffered you know the
11 one that was consumed in the hard drive there.
12 Then the European Tracer Experiment which is a
13 new one that was not considered an original one.
14 I'll get more into the European experiment in
15 this presentation.
16 Additional tracers to be included that we
17 would like to look at more as you see in the
18 IWAQM Phase 2 there's talk about project MOHAVE
19 which is one that John (inaudible) and
20 (inaudible) from DRI had published extensively
21 on. The other one is the VTMX where the urban
22 2000 study in Salt Lake City. That has a very
23 good complex terrain to it which would be useful.
24 And then Joe Chang is here today and he published
25 a paper about comparing CALPUFF to (inaudible)

2 and to DLS Tract. For these two experiments here
3 the Dipole Pride 26, and the Overland Along-Wind
4 Dispersion thing we'd like to get hold of that to
5 include in the database.
6 As part of this project we are also
7 evaluating additional models because the question
8 is how well any model can do in any one of these
9 situations. It isn't fair to isolate one model
10 and say okay it either does good or does poorly.
11 You know you have to look at it in context
12 because what if all models are performing poorly.
13 Then that's not a good tracer evaluation to
14 compare it against. It's not fair to do it that
15 way. You have to create a framework to
16 understand how well can any model reasonably do
17 with these experiments. It is important to
18 include these other models so basically what we
19 did was to include the two Lagrangian particle
20 models which most maybe most of them are familiar
21 with height split. Then the European one that is
22 called FLEXPART that's widely distributed
23 throughout Europe and both of these were selected
24 because they have are routinely used and they
25 have widely (inaudible) in other words it is easy

2 to take the meteorological data from MM5 and
3 apply to this model.

4 In addition we are also looking at the
5 transport capability of CAMx and Kirk Baker has
6 been working with us on this one too. Basically
7 it is to also create a framework to help us
8 understand how any model can reasonably do under
9 these experiments. As I mentioned before, these
10 were the different methods the evaluation
11 methods.

12 Now to get into this into it a little bit here.
13 The first one that we're going to talk about is
14 the Great Plains Mesoscale Tracer Experiment.
15 This is one of the original ones that was
16 published supporting the promulgation of CALPUFF.
17 Briefly what is was there were two
18 perflouorcarbaon tracer releases from Norman, OK
19 on July 8 and July 11, 1980. Basically what we
20 had is you had two arcs of monitors that were
21 deployed one at 100 km and another arc at 600 km.
22 So we basically have a sampling interval was 45
23 minutes on the 100 km arch and then the same
24 frequency of every 3 hours on the 600 km arc.
25 I'm trying to give you a little flavor for

2 the (inaudible) meteorology because this
3 influences the performance of the model.
4 Basically what we had were Low Level Jets that go
5 over the Central Plains and you can see this is a
6 [ed. vertical] (inaudible) cross section from the
7 MM5 simulation performed with this. What you can
8 see is a very strong and deep Low Level Jet [ed.
9 Stream](inaudible) here and you know this is from
10 750 meters up in the air and the height in the
11 atmosphere and you can see the presence of the
12 Jet here.

13 This plays a major role in especially the 600
14 km or the results for the 600 km arc. I'll
15 explain a little bit why in a minute. Basically,
16 the model experimental design was to look at
17 CALPUFF, FLEXPART and HYSPLIT and basically, what
18 we did with CALMET meteorology we looked at
19 (inaudible) the Hybrid mode, then NOOBS =1, then
20 NOOBS = 2. Then at the presentation that Herman
21 gave yesterday, we also included the MM5 CALPUFF
22 and this is one of the data sets that we're
23 testing the proto type against here.
24 Puff-Splitting was turned on for the 600 km
25 situation or the 600 km simulation and none for

2 the 100 km. So this was a deviation and this is
3 one of the areas there was a deviation from the
4 earlier experiment was that that one did not
5 consider puff splitting. But since we were
6 operating at 600 km we thought it was important
7 to test that feature. Basically like I said we
8 had two domains, two CALMET domains. For the 100
9 km arc we used the 4 km CALMET which was
10 consistent with the previous basically what we
11 tried to do was be as consistent with the
12 previous CALMET and CALPUFF simulations to do
13 this. So we had a 20 km CALMET for 600 km
14 simulation and a 4 km CALMET for 100 km and then
15 set those other two models there.
16 This is the MM5 configuration and I'll skip
17 through this. It's just an idea of what we're
18 using some of the more advanced (inaudible) in
19 MM5 like ETA PBL and NOAH LSM. We're not
20 necessarily wed to EPA (inaudible) scheme but
21 that's one thing that would have to be evaluated
22 as part of any publication of these results is to
23 validate the MM5 data and that's something we
24 have done but haven't looked at it as
25 extensively. We have domain wide statistics that

2 we haven't went down in detail to evaluate but we
3 do have general performance. In general they
4 gave me kind of the ad hoc statistics that people
5 use for meteorological model evaluation.
6 This is the basically what I talked about
7 and these are from the Irwin methodology and want
8 to point out that this is the result of the 100
9 km and this was for the 600 km. As you can see
10 CALPUFF with CALMET is doing about the same.
11 Both put in MM5 CALPUFF within the CALMET one
12 too. This is with the NOOBS only with this one.
13 Then for the 600 km this is again you can see
14 this is fairly consistent with (inaudible) we saw
15 in the previous study which is we over predicted
16 CALPUFF in the 100 km and unpredicted under 600
17 km. Which was basically, the same result from
18 the previous study from the degree of which I
19 haven't gotten into here as far as the absolute
20 difference.
21 This is one thing I think may be one take
22 home message that I see encouragement here in
23 terms of you know you can see the plume you know
24 the plume is wide here. I am encouraged by the
25 turbulence here. I think that's one I mean

2 obviously we need to look at this more but this
3 is one area if you take a look at both the
4 CALPUFF turbulence and the AERMOD turbulence in
5 this the plume signal were not exactly matching
6 and more in line with reality than what you would
7 see. I am encouraged by seeing this here. As
8 you can see the plume spread with P-G tends to be
9 larger than what we saw and maybe we need to
10 investigate this further but clearly it s
11 seems we can see it consistent (inaudible) over
12 prediction of the plume width with the P-G class
13 now.

14 You can see here the CALMET winds did very
15 well at the arrival time at the 100 km; it did
16 better than the MM5 winds in terms of the arrival
17 time at the 100 km arc. CALMET almost
18 (inaudible) it. The MM5 had a slight delay of
19 about an hour. So we get down here where this is
20 where you can see you know basically depending
21 upon which P-G or turbulence we have a little bit
22 of variation. They are all fairly consistent
23 either close or -1 hour, but they're doing pretty
24 well there.

25 Where this created some concern for me was

2 as you can on the 100 km arch, CALMET does very
3 good in terms of arrival time but also the
4 duration and the time that the tracer cloud
5 arrived on the arc where (inaudible) does a very
6 good job. MM5 is (inaudible) arrived late and
7 faster. But this is what I need to talk to Joe
8 more about this. We couldn't reproduce from the
9 original experiment was when you look at the 600
10 km arc we detected tracers above background
11 concentrations for 15 hours on the arc. So what
12 we have is in the original dating back to 1997 -
13 1998 timeframe, they ran in CALMET and NOOBS mode
14 and they were able to get either 13 or 14 hours
15 on the arc. They had generally a decent
16 agreement with the travel and the transit time on
17 the arc. And I've tried it every which way and
18 this is the one thing I'm still confused about
19 whether I'm doing something wrong or maybe
20 something has changed inside CALMET I don't know.
21 Basically, as you can see we're basically
22 narrowing it down to about half the travel time
23 on the arc and show a little bit of why we're
24 seeing that in terms of where the wind shield was
25 placed in the tracer cloud. What we did see here

2 is that when we were feeding the MM5 only winds
3 (inaudible) CALPUFF we weren't getting the
4 transit time on the arc was consistent with what
5 the observation was. This is where we clearly
6 need to go back and take another look and try to
7 get a better understanding of what's going on.
8 This is one of the things we were not able to
9 replicate from the previous experiment.

10 Now Plume Centerline, this is one of the
11 Euro methodologies. As you can see, this is
12 where the MM5 winds did markedly better than
13 CALMET. CALMET was much better in terms of
14 arrival time and the time on the arc. But the
15 plume was a little bit displaced to the NE of
16 where it should have been and the MM5 was like
17 depending upon having it a bit little closer.
18 We're about 10 degrees off here I think we're
19 about 20 to 30 degrees off on this one here. So
20 the MM5 winds were doing slightly better, but you
21 can see the MM5 winds have it displaced more
22 directly to the West and these are more to the
23 East.

24 Then on the 600 km arc the plume (inaudible)
25 from the Euro program, you can see generally they

2 are within range from about 25 to nearly 30
3 degrees as compared to 10. The displacement is
4 about 20 degrees off and with the NOOB we're
5 getting into like right here it's getting closer
6 to what the MM5 was looking at like the MM5 was a
7 little bit closer over here. That was an
8 encouraging sign for the MM5 CALPUFF.
9 I'm going to see if the animation works here
10 to kind of give you an idea what we're seeing
11 here. Sorry about this. I'm going to break out
12 of this if I can. Okay this is the animation
13 from the observed and ...oh great. Sorry about all
14 this. And as you can see, this is what we were
15 seeing basically from the published literature
16 dating back to 1982 - 1983. The observations
17 were basically the plume was detected from
18 Nebraska to Hamilton Missouri. So basically it
19 had it sitting somewhere right here to here. It
20 appears that the wind field was steering it 1
21 little too far to the South and East and I think
22 that explains why we're not seeing the terrain of
23 the faster (inaudible) on the arc because from a
24 meteorological perspective you don't want to be
25 right in the Jet core there. Up here in

2 Nebraska we have a frontal boundary that starting
3 to set up over here so what I think was happening
4 was that the plume came up in this area here and
5 encountered the frontal boundary and started to
6 slow down. That in fact is why you saw the 15
7 hour transit time because we are sliding a little
8 bit too far to the South and East on this one so
9 we're not encountering that frontal boundary and
10 I think that's why it's (inaudible). Obviously
11 that's what it looks like. Okay.

12 For the MM5 CALPUFF, as you can see, it
13 actually a lot of it has to do with the initial
14 displacement it had the plume you can see that
15 the plume took it a little bit further trip to
16 the North and West than it did with the other
17 one. It did catch the transport path a little
18 bit closer. That's one of the things we need to
19 go back and look at with this tracer evaluation.

20 It's like why weren't we able to replicate the
21 CALMET wind fields from the previous one. I
22 presumed that's what was helping to contribute
23 the transport differences that we were seeing
24 from the first study to the second. Okay.

25 This is another one. This is the European

2 tracer experiment and basically this is probably
3 I call it the granddaddy of all the tracer
4 experiments. This is probably the most prominent
5 tracer experiment we have. This was Europeans
6 response to Chernobyl accident decided it was
7 necessary to test the results of the LRT models.
8 So the European's tracer experiments or ETEX was
9 designed to validate long-range transport models
10 used for emergency response situations and to
11 develop a database which could be used for model
12 evaluation purposes.

13 They had at least 168 monitoring sites
14 located over 17 European countries and they had
15 two releases of perfluorocarbon (PFC) tracer were
16 made in October and November 1994 from France.
17 They were basically 2-hour releases. It has a
18 fairly robust network to look at here. Basically
19 the experimental design here you can see
20 (inaudible). This is what the synoptic features
21 that will flavor the simulations; we have the
22 (inaudible) over the north sea and another low
23 developing in the Adriatic plus we have some
24 (inaudible) passage through here and this is
25 going to be what flavors the transport patterns

2 that you will see.

3 MM5 is run again and was initialized with
4 NCEP Reanalysis Data and was consistent with what
5 was run with Great Plains with the exception we
6 ran a 43 vertical layer and I think I transpose
7 my numbers so I think it was 43 layers instead of
8 34 for this one. I'll show results for this one
9 for these three models. I think it's important
10 to caveat this is an experiment that's well we're
11 talking distances of 1,000 - 2,000 km here. So
12 this is well beyond what CALPUFF what is
13 recommended for regulatory. It's not sitting and
14 shows how well one model does and how bad one
15 does. This is a good test for puff splitting
16 because you have one arc at 600 km and now we're
17 at how far out can we really go with this. We
18 felt this was a good test for puff splitting.
19 Basically each of the models was supplied
20 with the MM5 and there's no CALMET in this
21 simulation. It's only MM5 CALPUFF so basically
22 you have the comparison that all three models
23 help with (inaudible) MM5. Basically we're
24 looking at each of the models ability with the
25 same meteorological data.

2 This is just a snap shot of the FLEXPART
3 time series at 24, 36, 48 and 60 and you'll see
4 that basically this is similar to what was
5 observed in terms of the absolute transport
6 pattern if you're just looking at the spatial
7 pattern. Basically what it is that within the
8 first 24 hours of plume as it (inaudible) along
9 the low country up here in to Germany? As it
10 gets into this area up here we start with wind
11 field (inaudible) starts (inaudible) and we get
12 the (inaudible) in to the low up here and then we
13 start (inaudible) low down here. At 48 hours and
14 at 60 hours, this is basically the transport
15 patterns would look like.

16 This is what CALPUFF was showing here. I
17 apologize for this I used different software
18 (inaudible) Hysplit and CALPUFF were a lot easier
19 to use with Surfer so this is the Surfer plot.

20 We were able to pull in the observations so that
21 you would have an idea what the actual
22 observation were looking like for this. CALPUFF
23 is doing just as well as the other models within
24 the first 24 hours of the release. None of the
25 models were able to get this (inaudible) extent

2 of it. All three models CALPUFF, FLEXPART and
3 HYSPLIT they all had the same general convection
4 pattern toward the northeast and were not getting
5 the Westward or Eastward extent of it. By 36
6 hours, this is where you can see things are even
7 with the puff-splitting turn on we weren't
8 getting caught up in the deforming wind field the
9 way it was.

10 As you can see by 48 and 60 hours the
11 simulation has pretty much broken down by that
12 point. We are not able to do that. As I said
13 this is well beyond the regulatory range of
14 CALPUFF and was just an experiment to take a look
15 and see how this puff-splitting will make a
16 difference. I think that's the thing here.
17 HYSPLIT was comparable with CALPUFF in the first
18 24 hours here and we're not getting eastward
19 (inaudible). By 36 hours we're not getting the
20 southern (inaudible) here, but HYSPLIT's
21 performance improved dramatically between 48 and
22 60 hours. By 60 hours HYSPLIT has it almost
23 perfect in terms of the spatial pattern.
24 So the spatial statistics...this is what we're
25 looking at merit in space as you can see the

2 HYSPLIT did its best in terms of basically what
3 the model observed it had the best of spatial
4 representation. This was the coare of the
5 performing one here. In the end you can see
6 because of the way the plume was transported with
7 CALPUFF on that one here where the high false
8 alarm rate with this one which was putting the
9 plume in an area where nothing was being
10 detected. So as you can see FLEXPART has a high
11 false alarm rate as well. As you can see HYSPLIT
12 did the better of the three models in that.
13 In terms of the global statistics that I
14 talked about before, as you can see, HYSPLIT was
15 the clear winner in this one and you can see the
16 final ranking overall. This is the Lagrangian
17 part of the model it didn't do much better in
18 terms of the statistical data. It did marginally
19 better than CALPUFF here and you know you can
20 look at the factor of 2, the factor of 5, clearly
21 in each case HYSPLIT was the clear winner in that
22 one. It's just what it is.
23 These are some of our initial observations from
24 that and I would like to remind everybody there
25 are an insufficient number of tracer experiments

2 here to draw any conclusions from current data.
3 As I mentioned before, there are pieces of
4 information we can pull out of this. I was very
5 encouraged with the turbulence in terms of the
6 plume width. It looked like it was doing better
7 than PG. But we obviously have a lot of work to
8 do and I stick to the dog ate my homework.
9 Basically for the Great Plains Tracer
10 Experiment, CALPUFF/CALMET 100 km results
11 performed well except for plume azimuth as I said
12 it was off centered about 20 or 30 degrees. The
13 MM5 results were better for azimuth, but worse
14 for time of arrival and duration on 100 km arc.
15 We were unable to replicate 600 km arc statistics
16 from original GP80 and SRL studies conducted by
17 EPA in 1997 despite using same raw meteorological
18 data, horizontal, and vertical grid
19 configurations. We are now into the Savannah
20 River one and we're off a little bit and unable
21 to replicate the statistics for the Savannah
22 River one so that's something we need to go back
23 and look at.
24 The two major differences from original EPA
25 study are updated terrain and land use from old

2 CALPUFF 1.0 distribution and use of Lambert
3 conformal projection for GP80 and SRL, all other
4 CALMET options remained constant. CALPUFF
5 performance varied due to variations in CALMET
6 options selected. As you can see, CALPUFF
7 results appear sensitive to manner in which
8 meteorology is supplied to the model. Joe
9 mentioned yesterday that CALPUFF is sensitive as to
10 how you apply the model and that's one of the
11 areas we need to focus on the evaluation aspect of
12 it. I agree completely with Joe on the tone.
13 The European Tracer Experiment and as you can
14 see CALPUFF performs reasonably compared to
15 particle models for first 24 hours, has more
16 difficulty further into transport simulation, but
17 you can see it had more difficulty as it went
18 further into the transport simulation and we need
19 to investigate that further. When we were
20 looking at puff-splitting did not change CALPUFF
21 performance significantly. When we were looking
22 at puff-splitting (eliminating mixing height
23 restrictions) increased number of puffs, but did
24 not augment model performance. We had puffs
25 going in different directions. That's one of the

2 messages we need to see how we can improve the
3 puff-splitting in CALPUFF.
4 The next steps are and this is the last time
5 and I'm on time. Project results shown today are
6 work-in-progress. We have a model evaluation
7 protocol drafted and it describes the
8 meteorological metrics and the LRT metrics. The
9 goal is to provide the full documentation and
10 data availability necessary. Clearly we need to
11 engage with model developer to help us understand
12 some of our observations. Did we go wrong in
13 model setup? What can we do better?
14 Has the model changed since the previous
15 evaluations? So those are questions we have to
16 answer. That's my presentation.

17 Tyler Fox: Thank you Bret. Appreciate
18 that. We will venture into the Q&A session now.
19 Let me just mention where are we at from the EPA
20 perspective. As Bret indicated, we have worked
21 diligently into trying to compile the evaluation
22 information outlined understanding and
23 documenting some of the issues we have found in
24 respect to the science and implementation within
25 the model and will fully document that. What we

2 intend to do and we've made resource requests for
3 this is to conduct a peer review of the model and
4 that will follow the completion of the evaluation
5 and the documentation of that and release of the
6 information as Bret indicated. We will move
7 forward with that and not only take the
8 information we will put together but also
9 information the community and others want to
10 provide either through this process, provide
11 comments as it relates to this conference or
12 other information that is made available that can
13 include the evaluation Joe wants to do and others
14 want to do and the work that AER have done.
15 We'll be conducting a peer review both to charge
16 them to evaluate models and give us their opinion
17 about the performance and the underlying science
18 in these models and the long range transport
19 context to meet the regulatory needs under
20 Appendix W.
21 And as to a future question of any
22 recommendations or options for us to consider in
23 terms of addressing long range transport in the
24 future in terms of the models and their ability
25 to meet those needs. So that is where we are

2 just so you know and again look forward to
3 getting any comments or input through this
4 process and in the future as we move forward.

5 We'll take Q&A until about 9:30 to get back on
6 schedule.

7 Bob Paine: ENSR. I have a question for Joe
8 Scire or EPA. There is guidance for grid spacing
9 in CALPUFF such as you resolve the terrain
10 features to 5 or 10 grid elements. But recently
11 I've seen some critiques that the finer you go
12 with the grid spacing, the lower the
13 concentrations go. Is that really true or it is
14 really unbiased?

15 Joe Scire: I think there are several
16 factors that can influence how the model responds
17 to grid spacing. One is the nature of the
18 terrain and also the source location relative to
19 the Class I analysis and exactly where the source
20 is relative to that in the mean flow. What we
21 did is...my experience is it goes both ways
22 sometimes finer resolution produces higher
23 impacts where the terrain may channel the flow
24 into a Class I area. And in other cases it
25 produces lower impacts -- maybe it's channeled

2 away or maybe it just takes a different
3 trajectory. One example is a situation where a
4 stack is in the valley -- with coarse resolution,
5 the terrain may get smoothed so much so that the
6 stacks are no longer below the terrain height.
7 Therefore it goes to the gradient flow, where in
8 the finer resolution, the valley floor is deeper
9 and the peaks are higher so maybe the stack now
10 is within the valley and is subject to
11 channeling. That can drastically affect the
12 trajectory of the plume. As a test, back when we
13 were working on the VISTAS project, we looked at
14 the effect of terrain resolution from 90
15 differenr source - Class I area pairs -- looking
16 at 12 km resolution and 4 km resolution and I
17 distributed these results to the Federal Land
18 Managers and others.
19 Basically what we found in 52% of the cases
20 or whatever that works out to be 47 out of 90 --
21 the concentrations went up with finer resolution,
22 not down, and in 48% of the cases, (43 of them),
23 they went down. So I think there was pretty much
24 a split of higher and lower terrain resolution.

25 Christine Chambers: From Trinity

2 Consultants. I have a follow up to that question
3 to that. Recently I've had numerous
4 conversations with Tim Allen that there was in a
5 memo distributed by EPA that specifically said
6 for PSD Class I increments that, in all cases,
7 less than 4 km grid spacing would not be accepted
8 for PSD Class I increments. This was from Tim
9 Allen in his own words based on an application in
10 the Pacific Northwest. All projects less than 4
11 km show a decrease in concentrations. There have
12 been recent studies conducted by EPA to document
13 this. I have similar studies as Joe said that
14 depending on the case it can be up or down. Can
15 you provide a little more insight on this memo
16 that was supposedly issued by EPA that was
17 submitted to the Federal Land Managers?

18 Tyler Fox: I wish Tim was here because I'd
19 ask him the question what memorandum he is
20 referring to. We have not issued any memorandum
21 to that effect. I've not seen any memorandum to
22 that effect. I know Clint Bowman and others and
23 Herman if you want to address it. Others have
24 provided information about that. We from the
25 program office stand point have not issued any

2 memorandum to that effect. Herman if you want to
3 address that.

4 Herman Wong: That memorandum I wrote to the
5 State of Washington said that I would not accept
6 the 1 km grid resolution they use. The reason I
7 did not accept it was that we had an agreement
8 with the State in which a common protocol had
9 been developed and the State wanted to change the
10 agreement we had. So they changed the agreement,
11 and the State of Washington did not discuss these
12 changes with the EPA or the FLM or the other two
13 states.

14 So I fired back an email saying that it was
15 inappropriate for you to automatically decide to
16 make a change in the current protocol to go from
17 a 4-km grid resolution to 1-km grid resolution.
18 I think they had even adopted a grid with a 500-
19 meter resolution. The reason I didn't sign off
20 on it is was the feedback came from the Forest
21 Service and the Fish & Wildlife and the Park
22 Service because they wanted some demonstrations,
23 arguments, or justification as to why should they
24 be allowed to go down to below 4-km. We did do
25 some-- well, Bret did some testing that came up

2 recent results so we went to some additional
3 analysis from Clint [Bowman of WDOE] to justify
4 why he would be allowed to go to from 4-km down
5 to 1,000 meters and provide that to EPA, the FLMs
6 and the other states before we accepted it. At
7 this point, no, we are not accepting as Joe says
8 and this is the first I've heard of it from Joe
9 with an explanation as to why we should expect
10 mixed results. Until Clint provides that
11 information to us as we requested a couple of
12 months ago, we are not going to change our
13 position with respect to BART and with respect to
14 PSD.

15 Bret Anderson: The true story is that
16 Clint was kind enough of to share his
17 presentation with Roger and I back in May of this
18 year. He said, "Hey look at these results." and
19 they were intriguing and what he was showing. I
20 was working on the Great Plains Tracer Experiment
21 at that time and at the 20 and 4 km resolution.
22 So I created a 12 km domain and ran CALMET just
23 running with the NOBS only and with P-G, and
24 sent Clint the results on that. We didn't
25 conduct any independent analysis on our own we

2 just said we already had something here and maybe
3 you can find something useful of this.

4 Clint sent back a graph that he was using in
5 the arc statistical program and he was plotting
6 up the results for each time step. What he saw
7 was 20 big 12 kind of comparable to 20 and 4 for
8 the concentration was smaller. On advice from
9 the Park Service we said okay and what is it that
10 the terrain causing this or the land use. So I
11 wrote a computer program to create dummy GEO.DAT
12 files at the same resolutions so I basically
13 flattened the terrain so that is was 1 meter
14 terrain for the single land use. I had all the
15 physical properties at that same level and what
16 we saw was when you fix all that there were no
17 changes in concentration: 20, 12 and 4 were very
18 comparable to one another. We didn't draw any
19 conclusions from that. We said clearly the
20 terrain and land use were making a difference
21 there. That was the extent of what we did there.
22 What we did provide to Clint was what the Great
23 Plains Tracer Study did and that's probably where
24 this thing snow balled from you know was from
25 that where Clint did show with that resolution

2 what the change in the resolution you did get a
3 fairly consistent decrease in the concentration.
4 So we did that one additional sensitivity test
5 and we saw no change.
6 We had no opinion whatsoever with that and
7 that's the real story about this whole thing. I
8 think it goes back to a good point that these
9 decisions we make are made on the basis of
10 science and we should have good justification one
11 way or the other. If Herman had a protocol in
12 place, he was justified to say if you are going
13 to deviate from the protocol you have to have
14 justification. I think that's a fair
15 explanation. But with respect to and I know
16 there's a lot of communication in the community
17 that EPA has issued memos or these tests have
18 been done. That was the extent of the testing
19 that was done. We don't have any information one
20 way or another and I have never given the
21 information to Tyler to show anything about grid
22 resolution. That's the reality of that
23 discussion.

24 Tyler Fox: We are aware of the issue and

25 Herman did exactly what he needed to do and

2 requiring that justification just as any
3 deviation of a protocol or questioning about the
4 underlying basis that's being put forward. We
5 need to balance the process and understand things
6 and stay away from this EPA has demanded stuff.
7 The Regional Office has the authority and works
8 within that authority to do things. When there a
9 broad precedent thing they will send it through
10 and we have the Clearinghouse and other types of
11 mechanism in place to then get to the final
12 interpretation of guidance or decision in a
13 particular case. Once we have that information
14 and once it's brought to us we move forward in
15 the Clearinghouse action, but nothing has been
16 brought to us. We are aware of Clint's
17 presentations at the workshop and as Bret
18 described understanding what data he's working
19 with in trying to help in that process.

20 We need to ...if there are any other questions
21 about CALPUFF people can ask those before we get
22 into the public session. But we need to move
23 forward to respect the schedule and the like.
24 Especially for some of the presenters who may
25 need to leave. I'll just make some quick remarks

2 here.

3 Going back to the 8th Modeling Conference, we
4 covered the first, the second and the fourth
5 element that we had brought up so here's the
6 third element that we talked about which is
7 basically said we really need to focus on
8 appropriate evaluation methods. The focus and
9 the purpose of identifying areas of improvement
10 in the modeling system understanding that
11 emphasis on modeling systems, recognizing that
12 the emissions meterology and underlying modeling
13 science are all part of that system working
14 concert. But we need to understand the influence
15 and effect on each.

16 Therefore with that understanding we can
17 seek the types of improvements we need by
18 prioritizing the research either in the community
19 or within EPA with our Office of Research and
20 Development and will ultimately lead to an
21 overall improvement and understanding of the
22 performance of these models as they are applied
23 in the regulatory policy context.

24 So one note is that a year and a half ago,
25 there was an evaluation work shop and this is

2 just an example of the framework that one can use
3 for model evaluation. This one refers to the
4 community multi scale air quality model from the
5 EPA (inaudible) Office of Research and
6 Development. Basically you're looking at a model
7 and in this case CMAQ and typically what we say
8 is when we're doing an operational evaluation.
9 So we're looking at a base line situation 2002,
10 2005 and we're looking across the different
11 chemical (inaudible) species geographically and
12 saying are we getting the right answers? Are we
13 predicting the level of air quality compared to
14 observations, the predictions to our models to
15 the observations we see?
16 That's a standard fair. There's a lot of
17 work that we put forward as EPA in doing these
18 operational evaluations. There are ways we can
19 improve those types of operational evaluations
20 that get more of the spatial nuance of the
21 (inaudible). It is critical for us to go a
22 couple steps further and look at things such as
23 dynamic evaluation which can start to address the
24 questions are we capturing the changes in air
25 quality? Over time for example a publication on

2 the (inaudible) call we had a kind of controlled
3 experiment; we had a major regulation come into
4 play and (inaudible) country (inaudible) and we
5 had a time period in 2002 without it. And we had
6 a time period in 2004 and 2005 with it.

7 You can start to test the models and see how
8 well they replicated that change. It's not too
9 often we have those types of major changes and we
10 can observe both from the observational
11 standpoint and the model standpoint to see
12 whether our models are responding in the way we
13 would expect them to.

14 The other question is we getting the right
15 answers for the right reasons or the wrong
16 reasons? That's where we need to look at the
17 diagnostic evaluation tools and from that make
18 sure we feed that back in to the model. This
19 loop is important if not the ultimate goal here.
20 These are fine and dandy but if we don't come
21 back and focus on improving these models we are
22 not doing a service to the community.

23 And lastly, we can look at probabilistic
24 evaluation in terms of getting and understanding
25 of the confidence of these outcomes. Here's a

2 framework that is being worked on; there's no
3 official mandate or anything, but this is where
4 our Office of Research and Development (ORD) are
5 trying to frame this so we can work together
6 better as a community as we conduct evaluations
7 of all the models. I wanted to share that with
8 you. And to start off we'll start with Wyatt
9 Appel from our Office of Research and
10 Development. He will present a tool as Bret
11 mentioned its one thing to talk about methods and
12 techniques and the like. It's another thing to
13 apply them. Wyatt has worked with others in ORD
14 to deliver the atmospheric model evaluation tool
15 available through CMAQ so he's going to walk us
16 through that.

17 Wyatt Appel: I work in the atmospheric
18 modeling division in ORD here at EPA. And as
19 Tyler said we have developed an evaluation tool
20 and I'm just going to give an overview of it.
21 It's really focused to the (inaudible) like CMAQ
22 and MM5 but it can be extended to other
23 applications as well. In that the Atmospheric
24 Model Evaluation Tool (AMET) consists of two
25 modules. One that focuses on meteorology in this

2 case typically MM5 or WRF and one focuses on air
3 quality typically our case CMAQ but also CAMx.
4 It's a combination of several Open Source
5 Software packages so these are all free of
6 charge, license free. One is a database called
7 MYSQL, another one is R a statistical package
8 that Bret mentioned that. Then Perl and all of
9 these are available open source and we designed
10 on a Linux Operating System.

11 Actually others have extended it to other
12 platforms as well. AMET is specifically designed
13 to compare observations against meteorological
14 (e.g. MM5, WRF) or air quality model (e.g. CMAQ,
15 CAMx) predictions. We're actually not importing
16 an entire gridded data set. We're just using
17 paired model observation sets which are actually
18 a different forum for some of the applications
19 this group will do and I'll get into that in a
20 second.

21 This is a kind of a flow chart of how the
22 system works. There is a quality side but
23 essentially the meteorology works the same with
24 slight differences. It starts with the
25 observations and then model output. These are

2 paired in space and time through software we
3 developed. But you can do this on your own with
4 other software as well if you're not working with
5 these models. It is paired in space and time, we
6 generate database records and then those records
7 go into the MySQL database. In essence we are
8 just populating the database with model
9 predictions and observations.

10 We've been in to the evaluation part so when
11 all the data and observation are in the database
12 we use a set of [ed. Perl] (inaudible) scripts
13 pre-generated scripts to query that database,
14 poll the type of data you want and then create
15 statistics or plots that we pre-generated. I
16 will get in to some of those. For example, model
17 performance plots; this can be normalized Mean
18 Bias, Fraction Bias, and any number of
19 statistical metrics. Diurnal Statistics, Time
20 series, Spatial Statistics, Box Plots, Scatter
21 Plots, Bar Plots, "Soccer Goal" Plots, Bugle
22 Plots.

23 Then often because R is open source users
24 can develop their own scripts to do their own
25 type of analysis. The difference with the met

2 side is it's a different observations and a
3 different set of model output. Instead here of
4 the MM5 or WRF and here it's a meta data set that
5 is maintained by the Forecast System Lab. But
6 essentially from that point on it works virtually
7 the same. They are paired in space and time as
8 they do in the database.

9 What are the advantages of a system like
10 this? A somewhat automated/interactive system.
11 Data stored in relational database which is great
12 because one it puts all your data in a single
13 spot. If you have multiple simulations different
14 models, it doesn't matter; it's all in the same
15 database and treated the same way. The real
16 power is it allows data queries based on many
17 factors. For example, geographic, if you have
18 (inaudible) information you can box down to a
19 certain latitude or longitude. You can look at a
20 state and if you have county information figure
21 sites, you can do it by pretty much any met data
22 you can query by. You can also query by the data
23 itself. Like concentration if you want to limit
24 to a certain concentration you can do that as
25 well. We have pre-generated analysis scripts so

2 this uses the same analysis for multiple
3 simulations for other groups. One group, in
4 doing their analysis, if they use this, you would
5 see a similar type of analysis from possibly
6 other groups doing it. We're always trying to
7 figure out what did someone do a little
8 different. It kind of like using this type of
9 analysis among different groups. And then it's
10 open source pretty much free of charge.
11 These are the types of analysis that are
12 available on the met side and I'll show some
13 examples of these. There's a met model
14 performance summary which I have an example of
15 and some of the plots you may be more familiar
16 with such as Timeseries, Spatial Plots, and
17 statistics. Bar Plots, and some specific plots
18 to the met side includes Rawindsonde, Wind
19 Profiler, and Aircraft Profiler.
20 This is an example of a model performance
21 summary. This is a plot that's available on the
22 met side. You see here this one is for
23 temperature and the one on the right for wind
24 direction. It includes a number of different
25 plots and statistics scatter plot, model

2 performance summary statistics, metric across
3 different temperature ranges and then a box plot
4 showing the distribution of the model. This is a
5 single plot so you just kind of pick this for
6 whatever your data set is and this is what gets
7 generated. And similarly on the wind direction
8 side in the wind direction plots where you can
9 see the distribution and wind speed in your data
10 and some other summary statistics, etc.

11 Also available are time series plots, your
12 mixing ratio, wind speed, wind direction, but
13 pretty much any meteorological metric you have
14 available you will be able to apply just like
15 this. Spatial plots are summary statistics so
16 this is don't worry about the data showed
17 here it's just for example. This is actually
18 four different work simulations that are shown
19 and these are the R (inaudible) for each of those
20 plots. And you see color coded and then you
21 would also be to window this down to other
22 regions. One may say about R at least for the
23 United States is it contains more detailed maps.
24 If you do go down to looking at a smaller
25 location like a state you would be able to

2 include a county map on top of that.

3 This is a wind profiler comparison over time
4 and then (inaudible) and you see the wind speed,
5 a very nice plot. This would be specific where
6 you have wind profile information,. a nice plot.
7 Similarly for aircraft comparisons similar types
8 of plots are available with similar types of
9 plots available and different distributions in
10 height.

11 On the AQ side there is similar analysis
12 available slightly different. Rob and I work
13 together but we do things differently with
14 different data. Scatter plots this includes
15 model observation, model to model, summary
16 statistics which usually is output as a csv text
17 file so it's easily imported into EXCEL. Spatial
18 plots and box plots and these are a little more
19 specific; stack box plots (inaudible) box plots.
20 On the scatter plots, a basic scatter plot,
21 it has the ability to include select statistics
22 on it. In this case, on CMAQ, we usually prepare
23 to admit a number of different (inaudible) so we
24 like to keep it separated because they behave
25 differently. But this is -- imagine if you

2 included model to model (inaudible) single
3 network, multi network. And also, the ability to
4 temporally average this over different time
5 periods such as seasonally, monthly, annually,
6 and daily.

7 Spatial plots are very similar to what I
8 showed on the met side. Implied statistics
9 (inaudible) we have a number of different of
10 statistics available. And also concentrations,
11 model observed, the bias between the model
12 observed and also you can sub region this out
13 like that. Again time series plots. We're only
14 showing observed and (inaudible) but you could
15 also include another model data so you could
16 compare two model runs and see how they compare.
17 Box plots. This is a box plot in time of day and
18 you can ... the behavior of the data across the
19 hours of the day. Also this is a box plot for
20 monthly so you can see the behavior across the
21 entire year. Stack bar plots, this is more
22 specific to some of the data available for
23 comparing with the model like CMAQ. But it shows
24 the type of plots you could create that are
25 specific. And R is very powerful as related to a

2 lot of different plots and if someone is familiar
3 with R it's generally easy to tailor it to
4 whatever your data or skip a type of plot you
5 would like to see.

6 Some of the other parts includes some of the
7 metrics are some Bugle Plots where it includes
8 performance criteria. These are available by
9 default AQ side and then the Soccer Goal Plot is
10 a little hard to see but there are lines for the
11 bias and a kind of outline there. One of the
12 nice things about expanding beyond CMAQ is if you
13 have any set of model predictions in time and
14 space you should really be able to import that
15 into the database and analysis just like you
16 would any other database. Even if you are not
17 using CMAQ or CMAx or a model like that, if you
18 have data generally in the common (inaudible)
19 that includes a model of and some space and time
20 information there would be a way to get back into
21 the database and analysis just like you would
22 CMAQ and anything else. We just pre-generated it
23 some scripts that will take the raw CMAQ output
24 and bring it right into the database.
25 Then also the analysis scripts themselves

2 can be used outside of data met. There are
3 scripts so if you got data and you don't want to
4 go through the hassle of putting it in the
5 database, take the R script and you can read it
6 directly in the R so that you can extend these
7 plots or use these plots outside of the met
8 system itself.

9 We have been working on this for a few years
10 and early this year we released it publicly.
11 This a script based version both the Met and AQ
12 versions available and it includes an extensive
13 users guide included which we have gotten good
14 feedback. The script tit is very helpful for
15 setting up and using. It contains most of the
16 functionality shown here and some things
17 developed but not included in the release but in
18 the future we will include them. You can install
19 the Met and AQ versions separately. Includes
20 tutorial data and example output plots and then
21 there's also a Bugzilla available for AMET which
22 you can submit any questions or problems you have
23 with this system.
24 For future improvements we have to build a
25 Java interface which will be real nice since a

2 lot of the system is picking different options,
3 time of day, state and region so it really lends
4 itself to a Java type of interface. It's really
5 in the background. That would be able to run AMET
6 locally and access remote database. It would
7 be a little bit more user friendly than the
8 script database. Hopefully we can do some
9 additional analysis scripts similar to the ones
10 we have built over the year. And also the ones
11 developed externally by the user community. Then
12 more query options. The great thing is no matter
13 what met data you put in you can use as a query
14 option. That's it. Thanks.

15 Tyler Fox: Wyatt has to leave a little
16 early so are there any specific so are there any
17 questions about AMET. We'll take a couple of
18 questions.

19 Pete Manousos: First Energy. You rolled
20 this out publically this year you said?

21 Wyatt Appel: Yes.

22 Pete Manousos: Okay. How far in the future
23 do you see this being supported?

24 Wyatt Appel: That's a good question. It's
25 not something we have talked about it's still in

2 development and I don't know specifically that
3 we've talked about how far we will keep
4 supporting it. I think no matter what's out
5 there it doesn't really become defunked in any
6 way which is a nice thing. Even if we stopped
7 putting out new capabilities, that doesn't stop
8 users from putting in new capabilities. But
9 certainly in the near future we see putting it
10 out more scripts and then maybe putting out a
11 Java version.

12 Pete Manousos: And support would be through
13 Bugzilla?

14 Wyatt Appel: Well through CMAS. It's
15 available through CMAS that's the entity we go
16 through to put it out to the public. We
17 basically did the development internally at EPA
18 and then go through them to get it out
19 externally. Then we monitor the bugs that the
20 users have.

21 Pete Manousos: Thanks

22 Wyatt Appel: Sure.

23 Tyler Fox: Just a side note we at EPA will
24 be continuing to develop model evaluation tools
25 so as long as we have the need I would imagine at

2 least from the OAPQS standpoint I can't speak for
3 ORD, we certainly will be wanting to see this
4 tool developed and expanded both by the user
5 community and internally as we move things
6 forward. Next on our list for the evaluation
7 session is Bob Paine.

8 Bob Paine: I'll probably be able to go
9 through these very quickly because others have
10 addressed many of the points here. I come from
11 the point of view of the previous AERMIC
12 committee having done a lot of the evaluation
13 work with Roger and others on the previous
14 versions of AERMOD. I'm going to talk about the
15 AERMOD evaluation review, evaluation tools, and
16 for short range modeling evaluations the somewhat
17 dated Cox-Tikvart evaluation procedure. I will
18 also address the BOOT/ASTM evaluation procedure
19 and Joe Chang has been very gracious in providing
20 some slides for this presentation. He should
21 probably give it but I'm here anyway.
22 I will also mention some evaluation databases
23 that Joe has collected and should probably hand
24 over to EPA, and also a brief comment on the
25 gridded met evaluation.

2 I'd like to say that Jeff Connors who is my
3 colleague here has done an urban evaluation and
4 provided that database to EPA for AERMOD. And we
5 used some of the evaluation tools and we will
6 talk about. In the future, we will be doing an
7 evaluation of low wind speed databases with API
8 funding and working with EPA on that issue as
9 well.

10 There are generally two types of short-range
11 types for evaluation of databases. One involves
12 tracer studies and short-term intensive studies,
13 typically with multiple rows of samplers, each
14 with many sites where you can determine plume
15 centerline and plume sigma-y. You can determine
16 concentration trends with distance and maximum
17 concentrations on tracer arcs that are used for
18 the evaluation. You can evaluate predictions
19 paired in time and distance in this type of
20 evaluation. Here the limitation is the short
21 duration of the study and you have a limited
22 number of meteorological conditions and seasons,
23 where the other type of database -- the long-term
24 monitoring networks featuring year-long sampling
25 at a few sites -- has the advantage of temporal

2 resolution. You really have to do things in
3 unpaired in time and if necessary; paired in
4 space; so the limitation is spatial resolution
5 and advantage is a large number of hours in the
6 database.

7 So in the AERMOD evaluation, we have the
8 question: how well does AERMOD predict peak
9 ground-level concentrations used for compliance
10 with air quality (AQ) standards? Is AERMOD's
11 performance significantly better than that of
12 similar models? Evaluation databases were a
13 mixture of tracer experiments and long-term
14 studies

15 We tended to rely on plots used extensively;
16 they are often better than "black box" statistics
17 like the robust highest concentration. For
18 example, the Quantile-Quantile (Q-Q) plots will
19 plot pairs of ranked predictions and
20 observations, unpaired in time and can be used
21 for both types of evaluation databases. Residual
22 plots are plots of ratios of predicted/observed
23 conc vs. downwind distance or wind speed, etc.
24 They are generally used only for tracer
25 databases. Estimates of Robust Highest

2 Concentration, or the RHC, represent a smoothed
3 estimate of the highest concentrations (from Cox-
4 Tikvart evaluation technique). Generally, the
5 scatter plot (data paired in time and space) is
6 only used for tracer databases.

7 We go to the Quantile-Quantile plot which is
8 a ranked observation verses prediction plot and
9 hopefully the peak concentrations are close to
10 the one-to-one line. Peaks on this plot here
11 indicate where it's closer to this model. In the
12 range of the moderate concentrations we are a
13 little low here.

14 Other types of tools are the plotted model
15 residuals, which are plots of
16 predictions/observations as a function of an
17 independent variable where we have group
18 residuals according to ranges of an independent
19 variable. You actually have a box where the
20 midpoint is marked here. In general you see the
21 trend is very low as a function of the
22 independent variable. We use a box plot to
23 indicate the distribution of the "n" points in
24 each group. For example, the significant points
25 for each box indicate the 2nd, 16th, 50th, 84th, and

2 98th percentiles. A good model should have no
3 trend in model residuals.

4 This is a poor model example where you can
5 see this trend for the hour of the day is very
6 dependent on the wind speed as well. When you
7 see that, you see the model has some bias due to
8 a function that is variable. We have to
9 understand what is going on here because the
10 model does have a possible problem. These are
11 very useful tools. According to evaluation
12 statistics that have been mentioned, the
13 fractional bias (FB) is used in the BOOT and ASTM
14 systems. It is basically a function of the
15 observed and predicted concentrations where an FB
16 of zero is a perfect model, while an FB of +/-
17 0.67 is within a factor of 2.

18 The major features of the older Cox-Tikvart
19 Method would be use of the RHC statistic, re-
20 sampling of data used to determine confidence
21 interval for differences in performances of
22 models, and the composite performance measure
23 (CPM), which combines absolute FBs for several
24 averaging times. The model comparison measure
25 looks at differences in CPM between models to

2 determine the statistical significance of
3 differences among models and this is best suited
4 to long-term, sparse network evaluation
5 databases.

6 These next comparisons are borrowed from
7 Roger Brode actually. Several models are shown
8 here where we have a CPM score, and obviously,
9 the lower the score, the better the model. If
10 the the model comparison measure straddles zero,
11 then that means the models are not statistically
12 different. In most cases here, this one is maybe
13 just barely significantly different. Those are
14 the features of the Cox-Tikvart method.

15 Here we used the BOOT software, and it is
16 used a lot in Europe. It was developed by Hanna
17 and Chang, and is available through them. It is
18 best suited to tracer databases and is widely
19 distributed to (> 200) scientists in the field,
20 mainly through the European's Harmonisation
21 within Atmospheric Dispersion Modelling for
22 Regulatory Purposes - Model Validation Kit. It is
23 generic and can be used to evaluate different
24 kinds of models, different kinds of outputs, and
25 different kinds of data pairings

2 Some of the performance metrics in the BOOT
3 software you have seen before: fractional bias,
4 normalized mean square error, and another way to
5 do the variance and bias using statistics like
6 geometric mean, cases within a factor of 2, and
7 correlation coefficient.

8 A way to plot the variance and bias in one
9 plot is here, where the X-AXIS would be the
10 geometric mean, with over prediction on the left
11 and under prediction on the right. The variance
12 is on the Y-AXIS, so a perfect model is as low as
13 you can go while keeping the bias in the middle.
14 You can compare the two models and determine if
15 they are significantly different. Actually, this
16 is a plot of the various data values such that if
17 they cross zero, they are statistically unbiased
18 within a confidence in 95% on this case.

19 The question comes up "What are
20 Observations"? Observations can be measured by
21 instruments or products of other models or
22 analysis procedures. John Irwin three years ago
23 was talking about the American Society for
24 Testing Material Procedures similar to BOOT --
25 treating observations as snapshots of an

2 ensemble, while model predictions often represent
3 ensemble averages. That's one way you can do a
4 fitted observation.

5 The two cannot be directly compared unless
6 you do something with the observation. The way
7 you do that is group them in regimes of similar
8 conditions as atmospheric stability or downwind
9 distance. For a particular tracer arc if you
10 have a cross wind concentration like this you
11 would try to fit it with a best-fit Gaussian
12 curve in order to depict an ensemble peak
13 concentration and so on.

14 These are again from Joe Chang and some
15 results are sensitive to how the limited regimes
16 are defined. You might have to idealize the
17 experiments with concentric sampling arcs to make
18 this work easily. To get into how the procedure
19 should be applied to the evaluation of 3-D
20 Eulerian air quality models, where predicted
21 concentrations represent averages over a grid
22 volume, but observed concentrations represent
23 point measurements, it is difficult to figure out
24 how you would apply this procedure.

25 I am getting mercifully to the end now.

2 Just want to show you a couple of slides from Joe
3 Chang. We have a lot of archives -- or Joe has a
4 lot of archived databases, but unfortunately the
5 budget for maintaining this is very, very slim.
6 The budget for collecting and analysis is a
7 little bit more. He would say that the more
8 realistic or optimistic scenario would be to have
9 more budget set aside for archiving evaluation
10 databases. You probably can't see this, but you
11 can see this on the presentations that there are
12 over a 100 database references. For the existing
13 data, I would like somehow to make sure with EPA
14 that we don't have another hard drive crash.
15 Literally, these are about a hundred databases,
16 so it would be nice for EPA to take ownership of
17 these databases.

18 I have one last comment on evaluation of
19 gridded meteorological data. It's almost like a
20 new concept do we trust MM5 data instead of a
21 meteorological tower. We need to thoroughly
22 analysis the gridded met data. There be may be
23 situations with poor met performance (e.g.,
24 complex terrain). Conditions of concern for
25 dispersion modeling are how often are the winds

2 very low from the tower verses the computed
3 meteorological data.

4 How about the Low Level Jet, which we've
5 seen before -- for example, in that Great Plains
6 experiment? The problem with the Low Level Jet
7 is that you have a sounding at 6:00 PM and 6:00
8 AM and the Low Level Jet happens in between. In
9 North Dakota, we found that the EPA model missed
10 the Low Level Jet and underestimated the
11 dispersion. The use of better meteorology got
12 the plume dispersion predictions in CALPUFF
13 better. You've got to have, I think, an
14 understanding of the Low Level Jet and the wind
15 rose profile misrepresentation, among other
16 issues.

17 Sources of data for testing that I would
18 like to recommend are: we need to find tall
19 tower data, not just surface data because a lot
20 of the applications are for tall stacks. For
21 example private industrial met towers for which
22 the data has been provided to the agencies are
23 now in the public domain. There are numerous
24 wind energy assessment towers that are available
25 to the public. I would recommend that these

2 databases be used for the independent assessment
3 for the evaluation of the gridded met data. That
4 concludes my talk.

5 Tyler Fox: Thank you Bob. Alright, we will
6 finish the evaluation with Roger who will go
7 through some recent evaluations beyond the
8 typical Cox/Tixvart evaluation methods that are
9 appropriate in the way we use AERMOD under
10 Appendix W [ed. for NSR and] (inaudible) PSD.
11 But obviously as mentioned yesterday by Lee and
12 we're seeing more use of these types of models
13 for exposure and other type of risks assessments
14 which puts more stress on them from a space and
15 time perspective. So Roger will give us some
16 information on what we've learned so far on that.

17 Roger Brode: Thank you Tyler. I
18 appreciate the presentations that have been made.
19 Want to mention I want to follow up in some of
20 the work here in terms of AERMOD evaluation and
21 some (inaudible) that has been doing to look at
22 the model in a more robust evaluation. This is
23 going to be more (inaudible) information that has
24 come along recently. Very brief slide on
25 requirements of operational Regulatory Dispersion

2 Models vs. ER [ed. Emergency Response] Models or
3 other types of models that might be used.
4 Again some of this have already been covered
5 but for regulatory models need to predict the
6 peak of the concentration distribution, unpaired
7 in time and space, for comparison to AQ
8 standards. But in emergency response models, and
9 perhaps models used for risk and exposure
10 assessments, require skill at predicting
11 concentration distributions paired in time and
12 space. At least understand their ability to do
13 that. And we expect the need for that type of
14 model performance to increase in the future and
15 it is going to be a challenge to meet those
16 requirements.

17 Just some real quick examples. For
18 regulatory model evaluation this is prairie grass
19 one of the best databases ever collected back in
20 the 1950's. It is an intense tracer study as Bob
21 Paine just mentioned so we actually had I forget
22 how many arcs receptors densely located on a
23 series of arcs. This is a Q-Q Plot of AERMOD
24 evaluation in stable conditions. Sort of
25 unpaired but sort of loosely paired in space

2 because these are the arc (inaudible) maximum
3 concentration at each arc not the individual
4 concentrations that each receptor along the arc.
5 If you just unpair them in time you get a little
6 bit of difference a little bit more scatter plot.
7 But not much they are loosely paired in terms of
8 the arc (inaudible) maximum being applied here.
9 Another example is for Indianapolis that's a
10 tall stack or evaluation data base that was used
11 in AERMOD performance evaluation. Again this is
12 unpaired looks pretty good the Q-Q plot shows
13 pretty close to one line. Then unpaired it's a
14 little bit messier more of a scattered plot.
15 Just a couple of examples I'll try to be correct.
16 These are applications of AERMOD that have come
17 to our attention within the agency. But someone
18 has run AERMOD and getting results they don't
19 like and don't understand so we want to share
20 what we've learned. Not a real robust formalized
21 evaluation procedure but it's an opportunity for
22 us to help others in their application models.
23 But also learn ourselves how the model performs
24 in different situation. This one sort of gets
25 into the wind speed issue as Bob Paine mentioned

2 and we appreciate the effort he will be
3 undertaking soon to evaluate model performance
4 under these specific conditions. We look forward
5 to collaborating on that.

6 I got permission from Lee to use this. You
7 heard about this the Alabama DEM study for the
8 Birmingham Local Area Analysis (LAA) for PM-2.5
9 SIP. Basically AERMOD was run initially with
10 airport data and with the SEARCH data sets that
11 include sonic anemometer with lower wind speed
12 stretched so they had lots of light wind speed
13 and the SEARCH met data. The model seemed to be
14 over predicting.

15 This is actually for the Wylam this is how
16 it originally came to us and you can see a
17 dramatic over prediction. This is actually time
18 series plot running the model with the airport
19 only data which that blue line down near zero and
20 you have the SEARCH data. As you can see there's
21 a dramatic difference there. Won't go into all
22 the details here but this is the Wylam monitor
23 which Lee presented yesterday. It's actually
24 pretty satisfied with the results there, it's not
25 perfect but at least it looks a lot better.

2 There are a number of reasons for that.
3 One of which had to do with I think the
4 initial comparison was based on the maximum
5 concentration of AERMOD across the gridded
6 receptors (inaudible) on the monitor location to
7 the actual monitored concentration. It actually
8 had receptors in AERMOD that were either very
9 close to the fence on property of facility close
10 to the fence line being compared to
11 concentrations from the monitor. This just shows
12 again at the airport for Birmingham that the
13 SEARCH site pretty closes by showing the
14 proximity but different settings. Low roughness
15 which would be typical of a met tower at an
16 airport. Then higher roughness at the SEARCH
17 site. It was sited direct within a neighborhood
18 with buildings and trees around. I suppose it is
19 more typical of the sources.

20 One thing that came to our attention here:
21 This is a terrain plot and it's not very clear
22 here. There are some slopes involved. There's
23 more significant terrain features around the
24 site. It's not real dramatic terrain features
25 but there are definitely slopes there. First of

2 all this is a plot again concentrations a time
3 series plot based on airport data the light blue
4 line. Not sure about the dark line plotted
5 against the frequency of calms each day from the
6 airport.

7 So this is 24 hour averages and what you can
8 see is a pretty good correlation when the
9 observed concentration goes up it's often highly
10 correlated with high frequency calm. For example
11 if you have 18-20 hours of calm, it indicated a
12 lot of light wind speed, upward spike in the
13 observed concentration. That certainly suggests
14 an important presence of local sources of PM for
15 that monitor. But if you look at the airport
16 date, it actually goes down. Sort of an in birth
17 correlation and there's a couple of cases where
18 you can see that trend. I think at Birmingham
19 airport this is a case where between calm and
20 variable winds we are looking at 25 or 30% of the
21 data period missing either to calms or winds.
22 So that was a sort of (inaudible)
23 information that if you do have low level sources
24 you will be expected high concentration under
25 light wind conditions. There may be some

2 question of the representative of that airport
3 data for that applications because you can see a
4 pretty clear pattern as the light wind speeds go
5 down, calms go up, observed concentrations go up
6 but the model concentration with that data
7 without (inaudible) the calms go down. This is
8 the first case where we got into the use of the
9 one ASOS data which we shared.

10 The other thing I'll point out here is this
11 is with the SEARCH data showing a high
12 concentration. This period stood out initially I
13 guess a period in here the SEARCH was missing and
14 that was one of the issues with the quality of
15 data. Just looking at the wind direction
16 compared with met SEARCH site and airport site to
17 be fairly close about 5 or 6 km separation. We
18 discovered there was an offset in the first three
19 weeks of the year and they verified this later
20 that the SEARCH wind directions were offset by
21 about 120 degrees so that kind of stands out as
22 different in some ways.

23 This is sort of (inaudible) information.

24 They come, we help and they go and we don't know.

25 Hopefully we can close the loop on a little bit

2 better. One of the things we are looking at
3 more closely, we sort of realized once we
4 supplemented the airport with the 1-minute ASOS
5 we looked at what is going on under these very
6 light wind. For the SEARCH site you can clearly
7 see low wind, drainage flow, showing up under
8 those conditions at night. Sort of from off of
9 this ridge here from a northern sort of North
10 West direction would be the typical light wind,
11 cold air and drainage flow. At the airport it's
12 more from the East that direction. Once we
13 supplemented it with 1-minute ASOS it doesn't
14 show up at all with this standard airport data
15 because they're all missing the calms.
16 I don't have the plot on here but from
17 the...guess they didn't put it in here. Here's
18 the SEARCH site that's matched with the model
19 where they had the PM 2.5 concentrations and
20 there was actually a facility just east of the
21 site. One of the things that is going on there
22 is that when you use the airport data under the
23 light winds conditions that show up at the
24 airport when you supplement it you are getting a
25 drainage flow towards the West basically at the

2 monitor from the source that is the closest
3 source.

4 Whereas the SEARCH site which is right next
5 to the source the drainage flow is more from the
6 North West not directly so that the plume from
7 the facility would be going right at the monitor,
8 it would be going towards the South. That's
9 contributing to what you've seen here as because
10 (inaudible) offset the drainage from the SEARCH
11 data was in the wrong direction and was basically
12 pulling a different source.

13 That's one example just to see again is
14 there a problem with the model that these light
15 wind conditions? It's not a clear answer one way
16 or another but there is some concern if you use
17 airport data and 25-30% is calm those results may
18 be biased in the wrong directions. Whether the
19 results are realistic or whether the problems
20 there are sort of not clear yet.

21 Another issue that comes up is surface
22 roughness sensitivity and this is more recent.
23 Example is AERMOD being applied to support
24 exposure assessment for the Atlanta area to
25 support current NO2 NAAQS review. Majority of NO2

2 impacts attributed to mobile sources so major
3 roadways were modeled as links and minor roadways
4 as area sources; sort of temporally and spatially
5 distributed so the initial model-to-monitor
6 comparisons showed AERMOD concentrations
7 significantly exceeding monitored NO2
8 concentrations at 3 Atlanta monitors. An initial
9 assessment was that low surface roughness used to
10 process airport data was not representative of
11 roughness typical of source locations, and
12 suggestion was to re-process airport data with 1m
13 roughness to address that.

14 We kind of suggested there are other ways.
15 We did a broader assessment of modeling
16 analysis, recommendation were made to acquire and
17 process SEARCH met data as more representative of
18 source surface characteristics of the sources.

19 Another issue is to apply OLMGROUP option within
20 Ozone Limiting Method to better account for NO to
21 NO2 conversion. We suggested to apply the
22 OLMGROUP options be applied to perhaps get a
23 better account for the NO2 chemistry in this
24 context. Also we looked at the source
25 characteristics for the mobile sources and

2 suggested some changes to better account for
3 vehicle induced turbulence. Especially for the
4 light duty vehicles they are being modeled as
5 basically tail pipe with the release pipe in the
6 small (inaudible). Those changes were made.
7 Just a very quick I didn't have plots that
8 were on the same scale. This is sort of model to
9 monitor comparison at one of the NO2 monitors
10 before. The black is the measured NO2
11 concentration and the lighter blue is the model
12 concentration from AERMOD. Again most of this is
13 due to multiple sources (inaudible). Thousands
14 of sources over the whole Atlanta area and again
15 you're up 300 (inaudible) and the purpose of this
16 study is due to the exposure assessment is what
17 the frequency of the exceedence was. There was
18 some concern whether AERMOD could be used in this
19 context. Once we addressed some of these issues
20 this is the model comparison after I think the
21 period from the previous slide was sort of in
22 here.
23 You can see much better (inaudible) it's not
24 perfect but considering all the uncertainties in
25 the emissions and so on, we felt that was pretty

2 good. This same kind of pattern is pretty
3 consistent from one month to the next at the
4 other monitors as well. So they seemed
5 encouraged by that.

6 Just for interest sake I went back and
7 modeled multiple sources again that's majority
8 impacts. Again with the airport data this is the
9 Q-Q plot of modeled concentrations using SEARCH.
10 These are AERMOD concentrations using the SEARCH
11 data process with surface characteristics using
12 AERSURFACE pretty high roughness about 0.8 meters
13 0.7 meters verses concentration process with the
14 airport data with the 1-minute ASOS
15 supplementation with its roughness which is
16 pretty low for an airport. And pretty close to
17 the 1 to 1 line except there's only one point I
18 don't know if you can see it. It's about 2 to 1
19 over prediction or difference between two models.

20 But interestingly enough the met data that
21 produced the higher concentration was the from
22 the SEARCH site with the higher roughness.

23 Not sure what that says but it's an
24 interesting result to see that the issue of
25 surface characteristics differences between the

2 airport and the SEARCH site didn't seem to be
3 playing a very major role here. One caveat this
4 is right in the urban options so the urban
5 boundary layer enhancement is certainly helping
6 mitigate some of the differences you would expect
7 to see due to surface roughness itself.
8 The next one is more on the source
9 characterization side of this. These are issues
10 that kind of come up. I mean all three of these
11 issues in all three of these cases but this is a
12 little bit more focused on that. This a model
13 comparison and they were doing with Benzene
14 concentrations from refineries in Texas for
15 Residual Risk review. Actually, initial results
16 from standard ISHD airport data showed
17 significant under predictions and the conclusions
18 that issue was well we need far background
19 concentrations. We recommended using 1-minute
20 ASOS wind data to reduce the number of calms,
21 which contributed to under prediction. And a
22 more detailed assessment of representativeness of
23 met data resulted in selection of another nearby
24 station. This was fairly close to the coast down
25 in the Gulf Coast but not right on the coast but

2 there are a number of sites there.

3 And also another non standard airport site,

4 the Texas (inaudible) site, I think we looked at.

5 This is sort of a quick end look and see if we

6 can learn. It's hard to close the loop on it.

7 The other thing is the sensitivity of model

8 results to source characterization options for

9 storage tanks examined, with recommendations to

10 improve characterization. So we looked at

11 different options and there's a lot on this

12 slide. I think what they initially did was

13 elevated area sources with no initial Sigma Z.

14 That's the very low impact that starts to come

15 up. The monitor was kind of within 100 meters

16 range and that could be pretty important. That

17 might be why they were getting some un-

18 predictions. The other was the calms. Looking

19 at different ways to model it there's an area

20 source with an initial Sigma Z or volume source

21 but one thinks they may need to look at in terms

22 of guidance or recommendations something from the

23 implementation guidance is the SEARCH tank.

24 I think a better way to do it these days

25 with the PRIME downwash algorithms since it

2 exclusively treats the cavity impact region is to
3 model tanks maybe series non buoyant point
4 searches around the top of the tank and input the
5 tank itself as a building. That is kind of the
6 blue curve here. So depending on where you are
7 you can have a whole lot of sensitivity or not
8 that much. But if you're close to the sources it
9 can be pretty significant.

10 These are just a range of results based on
11 different met data and different source
12 characterization and I think we ended up feeling
13 that Galveston would be the most representative
14 data and including some Sigma Z so this is
15 putting the plume the release sight more in the
16 middle of it and some initial Sigma Zz. There's
17 the 100 mile about 5.65 and here about with the
18 Hybrid met data about 5.96 so we're getting
19 reasonably close. This other monitor didn't do
20 as well I think there were some other concerns
21 there about whether there could be other
22 background sources impacting that monitor. This
23 one was pretty much downwind from one of the
24 refineries.
25 That's again just some (inaudible)

2 information. What I'd like to do is take these
3 opportunities to learn about the model. They are
4 not robust or formalized evaluations but at least
5 they can give us some information as to what the
6 limitations of the model are and the
7 sensitivities are. And what we need to focus on
8 in terms of providing better guidance. And how
9 to apply the model and we also want to do is
10 build on what Bret is doing in model performance.
11 Looking at more paired in time space basis and
12 find out how well AERMOD does or doesn't do with
13 that more robust demand on its performance.

14 Tyler Fox: Thanks Roger. So now we have
15 any questions as it relates to the model
16 evaluation section.

17 Arney Srackangast: This pertains to this
18 last evaluation that Roger was presenting related
19 to storage tanks. I haven't seen the study that
20 you have but the storage tanks have been modeled
21 quite commonly now. They're doing maintenance,
22 startup, shutdown permits down in the Texas area,
23 and so they are being looked at quite closely
24 for regulatory review. There's a wide variation,
25 as far as impacts go, with no clear guidance on

2 how we should really be modeling these. One is
3 almost always gravitated in the regulatory
4 perspective to go all the way to the highest to
5 be protective. But those variations close in for
6 receptors that are always going to show maximum
7 impacts on the fence line are three or four
8 orders of magnitude. You would almost, -- if you
9 picked a certain source type, -- you may not be
10 able to permit those sources in that context.
11 Given the need for realistic impacts what would
12 be your suggestions for going forward with
13 modeling storage tanks.

14 Roger Brode: I don't think I want to go on
15 record as providing a recommendation here. I
16 just want to point to something that we have been
17 discussing is recognizing the need to provide the
18 need to updated guidance or recommendations
19 for...there's a table in the ISC users guide and in
20 the AERMOD users guide in terms of defining
21 volume sources and that's often been used in the
22 past. To look at it in light of the capabilities
23 of the model to deal with downwash that's more
24 directly and more completely where that may be
25 equivalent or better ways to do some of these

2 types of sources.

3 Arney Srackangast: I guess my general

4 question is -- I'm not familiar with all the
5 evaluation databases and what types of sources
6 have been evaluated but it seems in the grand
7 scheme of things, this has primarily been stacks,
8 elevated stacks. To what degree do we have good
9 confidence and in low-level fugitive sources
10 given the PM issues we were just talking about.
11 In Alabama, and these other source types, are
12 woefully inadequate in evaluating the model in
13 these other source types which drive all these
14 analysis.

15 Roger Brode: I think that's a very good

16 point especially to make in terms of Bob Paine
17 mentioning that he's going to be doing some
18 evaluations looking at performance of
19 specifically under light wind speed conditions is
20 that's a problem we don't have that I'm aware of
21 any good databases to look at especially low
22 level fugitive type of releases under very light
23 wind stable wind conditions. One reason for that
24 these are small sources so the facility releasing
25 it doesn't have a lot of resources to go out and

2 collect the data to show well we're not causing
3 impact or not. But it's the worst kinds of
4 conditions to conduct a field study. The plume
5 is going to meander a lot, field studies are
6 expensive, so you could go out and put out a lot
7 of monitors and spend a lot of money and miss the
8 plume completely because it went that way instead
9 of that way. Even if you do have a study like
10 that how much confidence do we have that the
11 metric concentration really captured the plume
12 effectively for evaluation purposes. I think
13 it's an issue but maybe Joe Chang kind of build
14 off the work he's doing. Other databases out
15 there can be used to inform the issue and that's
16 something we are trying to pursue the best we
17 can. But for these kind of cases that come along
18 sort of an (inaudible) case. Let's see what we
19 can learn from it. Is there information we can
20 glean from that operations. It's not very robust
21 and it's not going to be a clear signal yes or
22 no. But at least it gives us some information to
23 work with. It may be the weight of evidence will
24 start to build up one way or the other.

25

2 Arney Srackangast: I guess my last comment

3 is as you were talking about the storage tanks
4 being considered downwash structures. In GEP
5 guidance, there seems to be suggestions that you
6 be careful about using spherical structures as
7 downwash structures. There seems to be some
8 remarks to that effect.

9 Tyler Fox: Just one note. The work that

10 Roger was showing came through the Residual Risk
11 Program and Review there. As we mentioned
12 yesterday, and I'll plug the Model Clearinghouse
13 one more time as we illustrate it to the process.
14 To come up with the EPA guidance, I think it
15 would be pretty presumptive of us to issue
16 guidance with limited understanding of issues.
17 The reason we have a clearing house process and
18 other types of processes is to get the
19 information from you all about these issues and
20 be able to and either specific situations make
21 determinations what will be appropriate at that
22 moment. And over time as these issues come to us
23 time and time again and we build this
24 understanding and learning of this then we can
25 conform guidance. Guidance to lead at a starting

2 point is the wrong way to go about it.

3 We need to gather information in order to

4 provide you with an informed and appropriate

5 guidance. So we need input from you all about

6 these issues and situations that we may be

7 handling or working through and learning from

8 internally such as the NATS reviews and the like.

9 The opportunity we are taking upon ourselves to

10 learn in order to better exercise and understand

11 the model and the models that we deal with. We

12 need information from you all through the

13 processes, from the Regional Offices, through the

14 states and local to share and gain that same

15 experience.

16 Again I would urge you all to be working

17 with your state and local agencies with the

18 Regional Offices to use the clearing house

19 process in a way such as the program office we

20 here can start to understand and inform and come

21 up with the type of guidance you need.

22 Why don't we meet back here at 10:45 so

23 that's a ten minute break and we'll start with

24 the last session on New and Emerging Techniques.

25 Thank you.

2 Alright, Bret Anderson will give a brief
3 introductory on the Long Range Transport
4 component here. Then we'll have Roland Drexler
5 on HYSPLIT and Joe Scire on the Puff Particle
6 Model and then we'll take some Q&A soon after
7 that.

8 Bret Anderson: This is more of a
9 philosophical interlude as to why we're actually
10 having this session. In my mind, we have had in
11 the regulatory not necessarily in the regulatory
12 modeling community. In the modeling community as
13 a whole in the last five to seven years, we have
14 had two major themes that I think have kind of
15 exposed us to some new technologies.
16 One area is the emergency response. As you
17 know after 9/11 a lot of the regulatory agencies
18 had to double up on duties that provide response
19 capabilities. So a lot of my counter parts in
20 the EPA regions have been tasked with providing
21 emergency response support for air modeling in
22 case of any natural disaster or terrorist
23 attacks.
24 In the emergency response modeling community
25 they have been using you know a much different

2 class of modeling technology that is new to us.
3 Essentially there may be some potential
4 application in the future and for the regulatory
5 modeling community. That is one area where we
6 have been exposed to (interruption on phone
7 line). The other is you have heard a lot of talk
8 about the BART program which is we've seen a lot
9 of CALPUFF modeling you know we've also seen a
10 number of states who have tried to use
11 photochemical models in a more of a single source
12 capacity.

13 We are now seeing as I like to call it the
14 collision of the worlds where we are seeing
15 (inaudible) come into the near field range. So
16 these are some new and emerging technologies that
17 the regulatory community will have to deal with.
18 And so we thought this session might be a good
19 opportunity as to where the future will lie. As
20 you know already these are just the various
21 classes of models that the community has had to
22 use over the years: Gaussian Plume Models (ISC,
23 AERMOD), Gaussian Puff Models (INPUFF, CALPUFF,
24 SCIPUFF), Lagrangian Particle Models (KSP,
25 HYSPLIT, FLEXPART), Computational Fluid Dynamics

2 (CFD) (FLUENT, OPENFLOW), Eulerian Models (CMAQ,
3 CAMx), Plume-in-Grid, Single Source Apportionment
4 Techniques.

5 As (inaudible) had mentioned earlier on the
6 other side is the grid models. You know we
7 have CMAQ and CMAx but we have new
8 capabilities. In these models are Plume in
9 Grid and single Source Apportionment technique
10 which may have a role in the future in the
11 regulatory realm. I just wanted to give you an
12 example of how we've used particle models in
13 Region 7 for quite a while.

14 Just to kind of give you how we use them in
15 a non regulatory capacity. We use them for fire
16 forecast simulations in the Kansas Flint Hills.
17 We have an event that goes on every spring that
18 is (sorry) and about fire emissions model and MM5
19 met model linked to FLEXPART. We are using it as
20 a tool for fire forecasting. This is the
21 Lagrangian particle model called FLEXPART. We
22 use it for diagnostic purposes just to give us an
23 idea of what we can reasonably expect here.

24 These models have the capability of you know they
25 have potential as an application in the future.

2 This is one I like to woo the management
3 with as it changes colors. It doesn't mean
4 anything. But it is there as are those models in
5 the research community and the emergency response
6 community that may have application in the
7 future.

8 I'm going to turn this over to Roland
9 Draxler and we going to talk about one of the
10 models that is in the community. It's called
11 HYSPLIT.

12 Roland Draxler: Okay can you hear me?

13 Tyler Fox: You're fine Roland.

14 Roland Draxler: Okay. What was that laugh
15 to?

16 Tyler Fox: They were laughing at me. Don't
17 worry.

18 Roland Draxler: Alright. I think I can
19 start.

20 Tyler Fox: Hold on a minute. Alright we're
21 all set. Speaking for management Bret I don't
22 want to see that picture again. Go right ahead
23 Roland.

24 Roland Draxler: Alright. I'm going to give
25 a brief overview of HYSPLIT and the acronym is a

2 little awkward. HYbrid Single Particle
3 Lagrangian Integrated Trajectory model. I try
4 not to use it but it's like brand recognition and
5 I can't change it anymore. But we do have a web
6 page and there is a lot more detailed
7 documentation and it goes into a lot more detail
8 and training materials you can go through on how
9 to use the model.

10 I'm going to cover quickly the computation
11 method; how to simulate plume dispersion, how to
12 get air concentrations, deposition; and some
13 examples of calculations and verification.

14 If you go on to slide 2, you have already
15 gotten the introduction of the variations of the
16 lagrangian model. Basically the difference in
17 the Eulerian approach where computing the local
18 derivative of the concentration change which is
19 essentially of the contribution of the advective
20 flow and dispersion across the interface and you
21 have to solve the entire domain.

22 It lends itself to easily handle complex
23 chemistry and multiple sources, but there are
24 some issues for the computation: for problems
25 with artificial diffusion. That also might

2 slowly disappear as the grid size of these models
3 become smaller and smaller.

4 The lagrangian approach we're computing the
5 total derivative and it's basically the same
6 equation but we're taking the advection and
7 putting it outside the equation and considering
8 that the trajectory. These kinds of approaches
9 are ideal for looking at single point sources.
10 There is an implicit linearity for chemistry.
11 That means if you have multiple point sources and
12 want to get the concentration at a particular
13 location you will be adding together the
14 contribution from all sources.

15 There are non-linear solutions available and
16 I'll talk about that later. And the approach is
17 not that efficient when dealing with many
18 sources. We're essentially computing the same
19 information over and over again. If you have
20 multiple point sources, you're doing the same
21 calculations in the meteorology for each source.
22 The next slide number 3. I'm going to give
23 you a brief overview of all the features and not
24 going into too much detail. The predictor-
25 corrector advection scheme; forward or backward

2 and that means forward trajectory or dispersion.
3 The meteorology is external and its offline and
4 that means someone else provided this. The model
5 needs it from somewhere. Then interpolation is
6 linear, spatially and temporally to the
7 computation point.
8 As far as getting the meteorology from
9 elsewhere. We have converters available ARW,
10 ECMWF, RAMS, MM5, NMM, GFS and so on. It's not
11 too hard to use one of those as a base for the
12 other converters to get something different. The
13 next thing is vertical mixing based upon SL
14 (surface layer) similarity, BL, Ri, or TKE. The
15 horizontal mixing based upon velocity
16 deformation, SL similarity, or TKE. Mixing
17 coefficients converted to velocity variances for
18 dispersion. The dispersion is computed using 3D
19 particles, puffs, or both simultaneously.
20 Modelled particle distributions (puffs) can
21 be either Top-Hat or Gaussian. If you are
22 modeling air concentrations, it is from
23 particles-in-cell or at a point from puffs. One
24 of the features is that we can work with multiple
25 simultaneous meteorology and concentration grids.

2 What this means is that you might have a high
3 resolution or stimulation and a global lower
4 resolution stimulation and you can use them both
5 in a calculationc, when the particle is over the
6 high resolution terrain it would use that data
7 and switch to the global model.

8 As far as meteorology we support latitude-
9 longitude or conformal projections. I mentioned
10 the meteorology. Now the non-linear chemistry
11 modules use a hybrid Lagrangian-Eulerian
12 exchange. It's not part of the standard package
13 but there's constant rate simple transformation
14 form one species to another. People have
15 developed other modules for sulphur species, the
16 ozone model, CD4, and we've got a mercury module.
17 Basically the chemistry works in its hybrid
18 approach. You release from point sources or area
19 sources and do the computation of dispersion and
20 transport in a lagrangian framework. The
21 particle then contributes to the eularian
22 concentration grid and the chemistry solution is
23 run. The concentration change is linearly
24 applied to the mass and the change is put back on
25 the particle and the advection continues on.

2 The standard graphical output in Postscript,
3 Shape files, or Google Earth (kml), distribution:
4 PC and Mac executables, and UNIX (LINUX) source.
5 Slide 4. I'm not going to cover all the
6 changes in the model. It's not that new we
7 started in the early 1980. The great points I
8 want to highlight are the original version of the
9 model used was rawinsonde data with day/night
10 (on/off) mixing. Later we basically we switched
11 to gridded meteorological data. Based on the
12 experiments done in the 1980, we found that we
13 could do a better job using meteorological data
14 instead of using observation.
15 This is true only in the regional large
16 scale type of situation. I'm not going to argue
17 that a gridded meteorological model might be
18 better when you are 5 km from power plant where
19 you have on site meteorology. But for these
20 large scale experiments the resolution of the
21 rawinsonde data was really insufficient to
22 capture regional kinds of flow patterns. We need
23 some kind of other approach.
24 The other thing that came later back in
25 early 2002 we started adding a lot more options

2 to the dispersion code because the interest
3 shifted away from the deterministic solution and
4 more probabilistic solutions so we added the
5 ensemble, matrix, and source attribution options.
6 More recently we have tried to link up with the
7 staggered WRF grids, turbulence ensemble, urban
8 TKE.

9 The last point version 4.9 which will come
10 out early 2009 I hope, we're going to have rather
11 than a plume-in-grid, we're going to have a grid-
12 in-plume model. Essentially a subroutine for
13 HYSPLIT. What that means is for very long range
14 simulations and what we're interested in are
15 contributions of pollutants to the United States
16 from China as a background contribution. If
17 you're running the lagrangian model for all the
18 sources in China you're going to need a whole lot
19 of particles and it becomes a staggering
20 computational problem.

21 But for a situation like that it is very
22 reasonable to look at an Eulerian model to
23 provide the concentration background and combine
24 that with Lagrangian plume model. From that
25 stand point the way it would work would be to

2 find the point sources all over the world and at
3 some predefined time the particles would be
4 transferred to the Eulerian model.

5 Let's go on to slide 5 now. Just briefly on
6 how the trajectory is computed. It's a 2 step
7 process (inaudible) it actually starts with
8 equation 2 the first-guess position.

$$9 \quad P(t+dt) = P(t) + 0.5 [V(P\{t\}) +$$
$$10 \quad V(P'\{t+dt\})] dt$$

$$11 \quad P'(t+dt) = P(t) + V(P\{t\}) dt$$

12 The integration time step is variable: $V_{max} dt <$
13 0.75 . So that's a pretty basic approach and I
14 think all the models use some variation of that.
15 It goes back to a 1935 meteorology book and it a
16 pretty traditional approach.

17
18 Number 6 slide. Now we compute these
19 trajectories. A single trajectory cannot
20 properly represent the growth of a pollutant
21 cloud when the wind field varies in space and
22 height. This was an interesting example. Just
23 to show you that in this case in starting a
24 trajectory, this is Spain in case you don't
25 recognize the geography. Why would I run Spain?

2 Invited to a meeting there. In any event what
3 we're doing is starting a trajectory in the
4 illustration on the right, new trajectories are
5 started every 4-h at 10, 100, and 200 m AGL to
6 represent the boundary layer transport. It looks
7 like a plume because wind speed and direction
8 varies with height in the boundary layer.
9 As you can see the thing sort of spreads out
10 and looks like a plume. But it's just a mean
11 wind coming out of the East (inaudible). And so
12 you're getting this growth in a horizontal that
13 is a result of the wind direction shear and wind
14 speed shear with height. And that is really
15 driving the dispersion process. If you added any
16 kind of turbulence on this it would have a minor
17 effect. That is a big thing for boundary layer
18 dispersion.

19 In HYSPLIT we can compute the mean
20 trajectory for each one of these. If I'm
21 releasing thousands of particles and each one has
22 a little bit of pollutant mass on it, that's the
23 3D-particle model with just the mean motion. We
24 have to add on a turbulent component that would
25 represent the dispersive component of the

2 atmosphere. That's the complete 3D-particle
3 approach.

4 Another one of the possibilities is the PUFF
5 approach where we're not modeling the individual
6 particles, but we're modeling how that particle
7 distribution changes with time. How the standard
8 deviation of the plume as it changes with time.
9 In this case it would be like a 3-D cylinder with
10 a growing concentration distribution in the
11 vertical and horizontal. Puffs may split if they
12 become too large.

13
14 We also have a Hybrid approach where we look
15 at the particle motion in one direction and a
16 puff type approach in the other direction. The
17 hybrid method always puts the particle in the
18 vertical and puffs in the horizontal. Mainly the
19 particle approach would give us a more accurate
20 representation of what's happening in the
21 boundary layer as there is a lot more shear with
22 height than in horizontal direction.

23 Slide 8 shows an example of the 3D-Particles
24 (5000). If you don't recognize the terrain this
25 is Fairbanks Alaska. It was in September and a

2 very nice trip. The approach on the left
3 illustrates what I was saying about the 3-D
4 particle concentrations you can see from the
5 illustration what that turbulent particle
6 distribution looks like when added to each of
7 those mean particle trajectories. It's a
8 lot more interesting as a vertical than a
9 horizontal.

10 If you look on the right side of slide 8,
11 this is running with 3-D Puffs and we are not
12 really seeing any dispersion here because we're
13 looking at the center of the puff and that
14 represents the mean trajectory. So about those
15 puffs you have some distribution you just don't
16 see it in this plot. Everything I'm showing you
17 on this presentation I did on my PC with the PC
18 version of HYSPLIT.

19 Slide 9. As far as the puff distribution,
20 just for example, I said that there are two for
21 modeling the distribution, it could either be a
22 top hat or could be a Gaussian. With the top hat
23 computation, you're either in or out, and when
24 you're in you have a mean concentration and the
25 mean concentration would be the top hat. It

2 represents the half the mass of the Gaussian
3 distribution.
4 Slide 10. This just shows the equations
5 that are involved. Now some of these equations
6 are simplified. I dropped off some terms, so
7 don't take this back and try to compute these
8 values. You need to go back to the original
9 documentation which is on the web page. But for
10 3-D particle approach, just briefly, we're
11 computing a mean trajectory, but actually in this
12 case we're adding another term, a u-prime
13 turbulent dispersion. That u-prime is computed
14 from the turbulence from the previous time step,
15 to which is added the last term here. u-double
16 prime, which is the standard deviation of
17 velocity component that comes out of the
18 computer. The Gaussian random number is weighted
19 in proportion to the turbulence that comes out of
20 the model. That's the particle approach.
21 Now for the puff approach we're using the
22 same kind of thing, in that we're computing the
23 standard deviation in terms of the growth of the
24 puff. It's also a function of the turbulent
25 velocity. If you would take the individual

2 particles from the 3D calculations and compute
3 their deviation, the square of the deviation from
4 the mean position. That gives you the standard
5 deviation, the made as modeling the puff if you
6 had stationary homogeneous turbulence. You're
7 supposed to get the same answer but you won't
8 always get the same answer.

9 Slide 11 is an example of the calculation
10 using 5000 particles or 500 puffs. In this case
11 what's happening at the end of the particle is
12 spread out it becomes a noisy simulation because
13 you don't have enough particle density to give
14 you a smooth plume and that's one of the
15 limitations with the particle approach. When you
16 get to very long distance scales and the global
17 scale (inaudible) for global background, it is
18 difficult to (inaudible) to get a smooth type of
19 simulation. That's why we have this puff
20 approach and especially the hybrid approach in
21 HYSPLIT.

22 Slide 12. Just briefly how do we compute
23 concentrations? Well each particle if you're
24 running the 3D particle model the change in
25 concentration in any grid cell will be the mass

2 contributed by that particle divided by the grid
3 cell volume. If you're using some kind of puff
4 approach it's the mass of the puff divided by the
5 volume of the puff, basically. The approach is
6 the same as summing the mass dividing by the
7 volume.

8 Slide 13. This goes back and is just a
9 summary of why the hybrid HYSPLIT is used for the
10 puff approach. Here's an example on the right
11 when you only have 500 3-D particles and you can
12 see how they break up sooner. That's why that
13 500 Hybrid puff approach gives a smoother looking
14 plume. As we saw in that vertical distribution
15 there's a lot more shear and lot more things
16 going on in the vertical than in the horizontal
17 and having the puff approach in the horizontal
18 helps give us a smoother type of representation.

19 Slide 14. I'm not going into much detail
20 here but there are all kinds of deposition
21 computations here and different ways to treat dry
22 and wet deposition including using the resistance
23 method which goes back to the Models-3 if you
24 want to turn that on. Refer to the guide for
25 this. The point I want to make is that in

2 HYSPLIT we're not losing particles but we are
3 actually depleting the mass of the particles. In
4 this case, we don't want to lose particles
5 because there are too few in the computation so
6 we just lose mass.

7 Slide 15. I'm going to work my way down in
8 scale. This was the massive dust storm from
9 China in 2001. This was running the 3-D particle
10 model and what you see here is the particle
11 positions coming out of HYSPLIT just a day or two
12 after the dust storm started. About a week later
13 when it first started approaching the United
14 States and the HYSPLIT particles are the black
15 dots and the TOMS aerosol index is the color
16 pattern underneath. We get a lot of questions
17 from the web. People were asking how accurate
18 was these calculations. They always try to pin
19 you down on this and when they try to pin us down
20 we say it's about 20%. What they don't believe
21 and have a hard time believing is the longer the
22 distance and the more dispersed the particles,
23 the more accurate it becomes.

24 As you can see on the right is what's
25 happened is the particle starts lining up with

2 the large scale weather patterns at the frontal
3 boundaries and the meteorological model has
4 captured those features very well. You may be
5 off in the source location but you might be
6 (inaudible) as long as you are in the avenue I
7 should say the caveat.

8 Slide 16 is the same event now and it
9 arrived over the US over the 14th like a week
10 later. And the following week we started
11 measuring concentrations over the US and I just
12 have it in the table in the middle of the graph.
13 The numbers are in the order of 30, 40, 50
14 micrograms per cubic meter, contributed from that
15 event. The HYSPLIT predictions are shown in the
16 graph and we're actually over predicting, what
17 might be the 100 for a low value. The timing was
18 about the right, but concentrations a little bit
19 high because we didn't have deposition turned on,
20 just standard transport and dispersion.

21 In fact the emissions came from a dust storm
22 module that was developed originally for looking
23 at sand storms in Kuwait. Its self predicting
24 what you saw in the previous slide the emissions
25 of dust were initiated automatically, when you

2 turn on that module, over desert land-use regions
3 that had a high wind velocity.

4 Slide 17. We're moving down now and we're
5 just covering the US. We do have an operational
6 wildfire smoke forecast that is running. You can
7 go to our web page and also the weather service
8 page. Our page is better than the weather
9 service page partly because we offer ways for
10 verification whereas the weather page only shows
11 the forecast. We are showing the verification
12 every day with what was occurring yesterday as to
13 what was observed by visible satellite imagery.
14 You can like manipulate the times and so on. The
15 reference is there and you can take a look at
16 that.

17 The last slide, 18, here is on verification
18 down on the local scale. This is down to the 80
19 km scale we're looking at a tracer experiment we
20 did in Washington DC area. This particular graph
21 shows the monthly sampling results. The 8 hour
22 sampling was only a few locations and was
23 difficult. But at the monthly locations,
24 essentially, the model didn't show a lot of bias
25 and we're kind of happy with those results.

2 Verification is the big thing and on my way
3 to wrapping this up and it's important to us.
4 You know there has been a lot published about how
5 to verify models and you know for us a lot of
6 this you make a change or you're trying to
7 improve the calculations and did it really
8 improve. Then you know the correlation goes up
9 or the bias might go down. You can always get
10 different results and we're trying to come up
11 with some to know if I make these changes to my
12 model what my overall results will be.
13 We tried to come up with a number and this
14 number is what we call a ranking. It is composed
15 of 4 components such as the correlation (R)
16 represents the scatter; the fractional bias (FB)
17 is the mean difference between paired predictions
18 and measurements and yields a normalized measure
19 of the prediction bias in normalized units; the
20 Figure-of-Merit-in-Space (FMS) is defined as the
21 percentage of overlap between measured and
22 predicted areas and is computed as the
23 intersection over the union of predicted and
24 measured concentrations; the Kolomogorov-Smirnov
25 (KS) parameter is the maximum difference between

2 the unpaired measured and calculated cumulative
3 distributions. And then these are normalized and
4 the perfect model would give us a rank of 4.0.
5 Obviously you can add other parameters if you
6 want.

7 Slide 20. One of the things we have on the
8 web all the tracer experiments we have been
9 involved with over the past 20 years. And for
10 those tracer experiments we have run...the first
11 question is if it's 20 or 30 years old how can it
12 be still relevant today? We sort of fell away
13 from going back to these experiments because each
14 one of them had different meteorological data
15 available. Some of the earlier ones there was
16 only Rawinsondes. Then we started seeing the
17 gridded data so when we were doing later
18 experiments.

19 Recently NCEP completed this North American
20 Regional Reanalysis. You can go to their web
21 site download and convert that data so that you
22 can use it in the model. So all of a sudden we
23 have a consistent meteorological database that is
24 available and we can use modeling methods and we
25 can go back and look at the old data and see how

2 well we are performing. This is a big thing.
3 And now for the first time we have statistics
4 that are consistent using the same meteorology.
5 It's not shown here but the difference that
6 you find changing dispersion in the model and
7 changing anything you try to change when you look
8 at one experiment it makes a big difference.
9 When you start using experiment that represents 3
10 months or 2 years worth like in METREX. So
11 there's lots of data. This is available on our
12 web site. Let's look at one briefly. Of course
13 I'm only going to look at the best one which is
14 ANATEX. You can see the average on the left and
15 the paired on the right.

16 EXPERIMENT

17 Average

18 Paired

19 ACURATE

20 3.25

21 1.77

22 ANATEX GGW

23 3.48

24 1.84

25 ANATEX STC

2	2.66
3	1.63
4	CAPTEX
5	3.24
6	1.63
7	1ETEX
8	2.37
9	1.55
10	1INEL74
11	1.71
12	1.37
13	METREX (t1)
14	2.81
15	1.77
16	
17	
18	METREX (t2)
19	2.27
20	1.58
21	OKC80
22	2.50
23	1.73
24	
25	

2 Slide 21. On the left here it shows what the
3 ANATEX experiment looked like and the G over in
4 Montana is where the release occurred and all the
5 stations represent the samples that if we're
6 averaging together. So when you click on that
7 3.48 this is the page that would come up which is
8 the overall statistics and you can see the
9 correlation is .97 which is (inaudible) probably
10 a little bit small for you to read. But the
11 thing is this represents a 3 month experiment so
12 if we average each individual station by time we
13 get a 3 months average we're looking at the
14 spatial distribution. The spatial performance of
15 the model is .97 correlation coefficient and the
16 bias was a ratio 1.37. Okay.

17 Anyway the point I wanted to make this is
18 available for you to look at what's important to
19 you. Everybody may have a different idea what is
20 important depending on what your requirements
21 are.

22 Slide 22. What's in the pipeline for
23 version 4.9? We've got all these tracer
24 experiments on the web. We want to have web
25 interactive verification linked to DATEM. We

2 will have the integrated global model for

3 background contributions.

4 The Chemical (CAMEO) and radiological effects

5 database (web) and not the PC version; GIS-like

6 map background layers for graphical display (pc);

7 model physics ensemble (pc/unix); meteorology and

8 turbulence already in existing version and

9 completely revised user's guide with examples but

10 not started yet. That's the end. I hope I

11 stayed within my time limits.

12 Tyler Fox: Yeah that was great Roland. Are

13 you going to stay with us during Joe's

14 presentation?

15 Roland Draxler: Yeah.

16 Tyler Fox: We have Joe Scire presenting an

17 overview of puff particle model.

18 Joe Scire: Okay. Last week I was asked

19 about the particle puff model the PPM module

20 that's in a version of CALPUFF and I said I would

21 be happy to write a presentation. I was

22 traveling during that time and didn't get back to

23 the office so I don't have graphics. I'll

24 describe the model and a little bit of history

25 about it.

2 This is the work of Dr. Peter de Haan as
3 part of his Ph.D thesis at the Swiss Federal
4 Institute of Technology in Zurich, Switzerland.
5 He spent a few months with us when I was at
6 (inaudible) he stayed and worked with us for a
7 summer. He was hard at work on his Ph.D and
8 there were several papers as a result of this
9 work. The two that I used in developing this
10 presentation are shown on this slide. So really
11 this is his module that was incorporated in to
12 CALPUFF.

13 Basically it's a module that is an
14 alternative or an option to treat dispersion in a
15 more detailed way in the near field. What the
16 purpose of the PPM the puff particle model is to
17 try to combine the advantages of both puff and
18 particle approaches. In one of the elements of
19 the PPM is that it will allow you to calculate
20 and predict the mean concentration and give
21 (inaudible) and an averaging time. So you are
22 computing the higher moments of the density
23 function.

24 Now in terms of models (inaudible) one
25 advantage is particle models over plume models

2 has to do with the ability of (inaudible) spatial
3 variably of accounting for spatial variability of
4 meteorological and dispersion conditions,
5 causality effects, low wind speed dispersion,
6 memory of previous hour's emissions, spatial
7 variability in dispersion rates, etc. Lagrangian
8 stochastic particle models are state-of-the-
9 science approach, especially for simulation of
10 inhomogeneous (convective) turbulence. They are
11 computationally demanding and there is more
12 difficult to deal with wet and dry deposition,
13 chemistry.

14 If you look at the Puff model types there
15 are a couple of types within the class of puff
16 models. One is the ensemble average puff model
17 and CALPUFF would this type. We have a puff that
18 consists of a center of mass and a 3-D
19 distribution of total mass around the center.
20 This represents the ensemble average of the
21 concentration distribution belong to a "piece" of
22 the pollutant release. The other type is a
23 cluster dispersion puff model where a puff is a
24 physical cluster of particles. Now then the
25 concept of relative dispersion (due to turbulent

2 eddies smaller than the puff) contribute to puff
3 cluster growth. Larger eddies move puffs as a
4 whole without changing the relative separation of
5 particles within the cluster (meander component).
6 Both of these are important.

7 Instantaneous puff releases require use of
8 relative dispersion but update frequency of flow
9 field is too low to resolve turbulent eddies not
10 covered by relative dispersion concept. PPM uses
11 a full stochastic Lagrangian particle dispersion
12 model to determine the puff trajectory. I'll
13 explain this a little more in a couple of slides.

14 Kinematic turbulent energy associated with
15 eddies smaller than the puff size is removed
16 since they are already accounted for the in
17 relative dispersion. Every puff carries along
18 its position along with the position and
19 turbulent velocity components of the stochastic
20 particle to which it belongs.

21 The effect of meandering caused by turbulent
22 eddies larger than the puff but not resolved by
23 the flow is simulated by the puff center
24 trajectories. Two contributions of dispersion
25 process are the relative dispersion (small

2 eddies) and the meander (large eddies). The
3 Stochastic path artificially produces the
4 meandering behavior, but it is necessary to
5 account for the spatial and temporal correlation
6 of turbulence. The tendency of neighboring puffs
7 should show similar meandering.

8 The way this is implemented into CALPUFF are
9 multiple steps. Every time there's a newly
10 released puff a "mirror ensemble" is attached.
11 This mirror ensemble consists of a user-defined
12 number of puff-particles. The time step broken
13 into sub-steps (sampling steps) in CALPUFF. For
14 each sub-step the mirror ensemble is advected
15 with a PPM time step (~1-10 seconds). For every
16 PPM time step, new particle trajectories are
17 computed, from which the puff trajectories are
18 derived. At the end of a sampling step, mirror
19 ensemble's first and second moments of mass
20 distribution are used to compute the parent
21 puff's size and position and then handed back to
22 main CALPUFF routine.

23 CALPUFF then computes any physical process
24 changing the puff's mass or chemical composition
25 (but not its size or location). At some point,

2 the size of the particle-puffs in the mirror
3 ensemble will be large enough so that most of the
4 energy spectrum will be within the puff-particle.
5 Relative dispersion ~ same as absolute
6 dispersion. At that point, the parent puff
7 location and size is recomputed, the mirror
8 ensemble is deleted and the parent puff is
9 restored. Parent puff treated in normal CALPUFF
10 way using absolute dispersion.

11 Peter evaluated the model of several
12 different data sets which included:

- 13 •The PPM was evaluated using
- 14 measurements from three tracer
- 15 experiments.
- 16 •Copenhagen
- 17 •9 hours measurements under
- 18 convective conditions
- 19 •115m release height, suburban area
- 20 •Lillestrom
- 21 •8 observations, 15-minute
- 22 averaging times
- 23 •Strongly stable winter conditions
- 24 •36m release height, suburban area
- 25 •Kincaid

2 •Mostly convective conditions

3 •171 hours of measurements

4 •187m power plant stack, rural

5 environment

6 Datasets are "reference datasets" developed as

7 part of European short-range dispersion model

8 harmonization workshops.

9 This is where I wish I had graphics but I

10 don't and will have to describe it to you.

11 Copenhagen had good agreement of arcwise

12 maximum concentrations with little overall bias

13 and nearly all data points within factor of two

14 of observations; some under prediction of cross-

15 wind integrated concentration (CIC). Very

16 similar results to those obtained with a full

17 Lagrangian particle dispersion model (LPFM)

18 Lillestrom: Generally good prediction of arc-

19 maximum concentrations and some displacement of

20 location of peak concentrations.

21 Kincaid used QI=3 (highest quality) data

22 So overall this was considered a pretty good

23 starting point that exists in a version of

24 CALPUFF and it's an older version. But it's

25 something if there's interest could be put in a

2 current version of the model. You can turn the
3 switch on or off and you can get some experience
4 in determining its performance in other data
5 sets. That's basically all I have.

6 Tyler Fox: Are there any questions for Joe or
7 any others. We are going to move quickly to the
8 next part of this which is the Single Source
9 Modeling. We'll start with presentation from
10 Prakash on Overview of CMAQ MADRID with SCICHEM.
11 Then depending on the time we have left, we will
12 either finish up with Kirk or Ralph or break for
13 lunch to continue those presentations.

14 Prakash Karamchandani: I'll be talking about
15 plume-in-grid modeling, which basically consists
16 of using a plume model within a grid model to
17 capture fine scale variability next to emissions
18 sources. And the whole idea is that the grid
19 models that we use typically have coarse
20 horizontal resolution of 4 km and 12 km and
21 cannot capture the subgrid-scale variability that
22 we have in the emissions. So why do we use it?
23 If you look at a grid model with a resolution of
24 4 km or 12 km, the plume has to travel through
25 several grid cells before it reaches the size of

2 the grid.

3 That leads to unrealistic treatment of the
4 transport of the emissions and chemistry of the
5 plume. So what we're trying to do with a plume-
6 in-grid model is to combine the plume model and
7 the grid model and carry the plume along until it
8 approaches a size that is comparable to the grid
9 size.

10 I showed this slide yesterday and what we're
11 trying to do with the plume-in-grid model is to
12 capture the first two stages, which I talked
13 about yesterday - the early plume dispersion and
14 the mid-range plume dispersion, and the grid
15 model cannot predict these two stages correctly.
16 Stage 3 is the point at which we hand over the
17 plume to the grid model.

18 So, like I mentioned earlier, the model
19 consists of a reactive plume model embedded
20 within a 3-D grid model. The plume model
21 captures the local scale variability and the grid
22 model provides background concentrations to the
23 plume model. At the time we hand over the plume
24 model to the grid model, the grid model
25 concentrations are adjusted. There's a two way

2 feedback between the host grid model and the
3 plume model.

4 Plume-in-grid modeling is not new; it began in
5 the 1980s - one of the first models was called
6 PARIS - Plume-Airshed Reactive-Interacting
7 System. Early models were overly simplified -
8 simplified treatment of chemistry in some models,
9 no treatment of wind shear or plume overlaps, no
10 treatment of effect of atmospheric turbulence on
11 chemical kinetics. The development of a state-
12 of-the-science PiG model for ozone was initiated
13 in 1997 under EPRI sponsorship.

14 The embedded plume Model is SCICHEM (state-of-
15 the science treatment of stack plumes at the sub-
16 grid scale)-developed by L-3 Communications/Titan
17 and AER. SCICHEM is based on SCIPUFF, an
18 alternative model recommended by EPA on a case-
19 by-case basis for regulatory applications (also
20 used by DTRA and referred to as HPAC). It's a
21 three-dimensional puff-based model, with second-
22 order closure approach for plume dispersion and
23 treatment of puff splitting and merging. SCICHEM
24 adds the full chemistry mechanism to SCIPUFF.
25 Before CMAQ became available, SCICHEM was first

2 embedded in MAQSIP, the precursor to the U.S. EPA
3 Model, CMAQ. In 2000, AER incorporated SCICHEM
4 into CMAQ. The model is called CMAQ-APT
5 (Advanced Plume Treatment).

6 The early applications of the model were for
7 ozone, where we conducted simulations for
8 episodes in the eastern United States with two
9 nested grid domains (12 and 4 km resolution) for
10 July 1995. We also applied the model to Central
11 California (4 km resolution) for July-August
12 2000. The key conclusion from the eastern U.S.
13 application: for isolated point sources, CMAQ-APT
14 predicts lower O₃ and HNO₃ formation compared to
15 the base model.

16 We added PM and aqueous-phase chemistry
17 treatments in 2004-2005 Two versions were
18 developed: one including the EPA treatment of PM
19 (CMAQ-AERO3-APT), and the second including the
20 MADRID treatment of PM (CMAQ-MADRID-APT),
21 developed by AER. MADRID is the Model of Aerosol
22 Dynamics, Reaction, Ionization and Dissolution
23 (Zhang et al., 2004, JGR)

24 If you look at the current version we have of
25 the plume-in-grid model, it is based on CMAQ 4.6,

2 which is the latest available release. It was
3 released in 2006 and I believe 4.7 will be coming
4 out in a few weeks. But at the time, this is
5 what we had to work with. So we had the MADRID
6 PM treatment and the EPA PM treatment which is
7 AERO3. So we have two versions: CMAQ-AERO3-APT
8 and CMAQ-MADRID-APT.

9 Once we incorporated PM, we applied it to the
10 southeastern United States. This was a study
11 designed to supplement RPO modeling being
12 conducted by the Visibility Improvement State and
13 Tribal Association of the Southeast (VISTAS). 2
14 months were simulated (January and July 2002)
15 with Base CMAQ v 4.4 and CMAQ-APT-PM. 14 power
16 plant plumes were explicitly simulated with the
17 plume-in-grid approach. Model performance
18 evaluation was conducted for Base CMAQ vs. CMAQ-
19 APT-PM. Power plant contributions to PM2.5
20 components were calculated and compared for Base
21 CMAQ and CMAQ-APT-PM. This slide shows you the
22 modeling domain for the application and locations
23 of 14 PiG sources
24 This slide shows the power-plant contributions
25 to average July PM2.5 sulfate concentrations. The

2 left side shows you the Base CMAQ results without
3 plume-in-grid. The right side shows the results
4 of CMAQ-AERO3-APT with plume-in-grid. There is a
5 big difference between the contributions
6 especially near the source regions and even
7 further away from the source regions. The
8 maximum contributions are 4.8 $\mu\text{g}/\text{m}^3$ for the grid
9 model and 2.4 $\mu\text{g}/\text{m}^3$ for the plume-in- grid model.
10 This slide shows the same results in a
11 different way. It shows the change in the
12 contribution by using the PIG treatment. You can
13 see that the contributions drop by about 43% near
14 the source region. Even further away it's about
15 1 to 5 % lower.

16 The conclusions were that using a purely
17 gridded approach will typically overestimate
18 power plant contributions to PM because SO₂ to
19 sulfate and NO_x to nitrate conversion rates are
20 overestimated. Plume-in-grid PM modeling
21 provides a better representation of the near-
22 source transport and chemistry of point source
23 emissions and their contributions to PM_{2.5}
24 concentrations. CMAQ-AERO3-APT predicts lower
25 power plant contributions than base CMAQ to local

2 and regional sulfate and total nitrate,
3 particularly in summer.

4 The next improvement was the addition of
5 mercury in the model. The implementation of
6 mercury modules in CMAQ-MADRID-APT was completed
7 in 2006. An application of CMAQ-MADRID-APT (with
8 Hg) to the southeastern U.S. (12 km grid
9 resolution) was conducted for 2002. An
10 application of CMAQ-MADRID-APT (with Hg) to the
11 continental U.S. (36 km grid resolution) was
12 conducted for 2001 (Vijayaraghavan et al., 2008,
13 JGR).

14 This slide shows mercury deposition with the
15 grid model on the left hand side and the change
16 in mercury deposition using the PIG treatment on
17 the right hand side. What we found was the grid
18 model overpredicted mercury deposition,
19 especially in Pennsylvania downwind of the
20 emissions in Ohio, and we found this
21 overprediction was corrected by using PIG
22 treatment.

23 Next we looked at an issue that's becoming
24 important and that is population exposure to
25 hazardous air pollutants (HAPs), which is an

2 important health concern. Measurements show a
3 large spatial variability in air toxics
4 concentrations near roadways. Exposure levels
5 near roadways are factors of 10 larger than in
6 the background-models need to capture this
7 subgrid-scale variability in exposure levels.
8 Many of the species of interest are chemically
9 reactive-e.g., formaldehyde, 1,3-butadiene,
10 acetaldehyde-models need to treat the chemistry
11 of these species. Traditional modeling
12 approaches are inadequate to provide both
13 chemistry treatment and fine spatial resolution.
14 Based on CMAQ-APT, we developed the prototype
15 version in 2007 (Karamchandani et al., 2008, Env.
16 Fluid Mech.). The model simulates near-source CO
17 and benzene concentrations from roadway
18 emissions. Chemistry is switched off for this
19 application. Roadway emissions are treated as
20 series of area sources along the roadway with
21 initial size equal to the roadway width.
22 Concentrations are calculated at discrete
23 receptor locations by combining incremental puff
24 concentrations with the grid-cell average
25 background concentration.

2 This slide shows the application for the
3 prototype - we looked at a busy interstate
4 highway in New York City (I278). This was done
5 for the July 11-15, 1999 period of the
6 NARSTO/Northeast Program. The bottom figure
7 shows the grid model domain.
8 If you look at this plot, which shows the
9 qualitative evaluation of CO concentrations from
10 model results compared with CO concentration
11 profiles measured in Los Angeles by Zhu et al.
12 (2002), Atmos. Environ., we get good agreement.
13 The challenge with P-in-G modeling is that it
14 can be computationally expensive if a large
15 number of point sources are treated with the puff
16 model - computational requirements increase by a
17 factor of two to three for 50 to 100 sources.
18 Point sources have to be selected carefully to
19 limit the number of sources treated. To obtain
20 results in a reasonable amount of time, annual
21 simulations are usually conducted by dividing the
22 calendar year into quarters and simulating each
23 quarter on different processors or machines. A
24 parallel version of the code can address these
25 constraints.

2 We started the development of a parallel
3 version of CMAQ-MADRID-APT and completed it in
4 late 2007. So on a 4-processor machine, the
5 parallel version is about 2.5 times faster than
6 the single-processor version. We have an on-
7 going project to apply the model to the central
8 and eastern United States at 12 km resolution and
9 to evaluate it with available data. Over 150
10 point sources are explicitly treated with APT.
11 The simulations include annual actual and typical
12 simulations for 2002, as well as future year
13 emission scenarios and other emission sensitivity
14 scenarios.

15 This slide shows the modeling domain for the
16 application that is currently on-going. As you
17 can see it is a very large domain with a large
18 number of PiG sources, and this application would
19 not have been possible without developing the
20 parallel version of the model.

21 I'd like to end by acknowledging the funding
22 from Electric Power Research Institute (EPRI),
23 Southern Company, California Energy Commission
24 (CEC), Atmospheric & Environmental Research,
25 Inc.; Collaboration in Model Development: L-3

2 COM; Parallelization Insights: David Wong, EPA;
3 and data sources like VISTAS; Atmospheric
4 Research & Analysis, Inc. (ARA) and the Georgia
5 Environmental Protection Division (GEPD). Thank
6 you.

7 Tyler Fox: What I'd like to do is if there
8 are any questions for Prakash on the CMAQ Madrid
9 why not ask them now. Then we can break for
10 lunch and then start back so that Kirk and Ralph
11 will have time to complete their presentations
12 and we don't have to rush. Are there any
13 questions? Alright. We'll see you back here at
14 1:00
15 We'll all get back together. There doesn't
16 seem to be as many people. So as we said, we
17 will conclude the session on New and Emerging
18 Models with presentations by Kirk Baker and Ralph
19 Morris on single source models and photochemical
20 models. We'll take some questions on that and go
21 right in to the public session and go according
22 to the order in the final agenda yesterday.
23 There are a couple additions or at least one
24 addition we can add. I'll hand this off to Kirk.
25 Kirk Baker: I appreciate those of you who

2 came back after lunch. I'm going to talk a
3 little bit about photochemical modeling and in
4 general some of the features of the photochemical
5 models that are starting to lend itself to single
6 source modeling and tracking that type of thing.
7 I'm going to start way back at the beginning
8 simple (inaudible) for all types of air quality
9 modeling systems whether it's dispersion, or
10 photochemical grid model system. Essentially you
11 will use the same emissions input, meteorological
12 inputs and process that for the air quality
13 model.
14 Generally speaking the model started off as
15 a dispersion model, simple photochemical box
16 models that moved on to second generation
17 photochemical models like urban REMSAD models.
18 Those photochemical models are geared to specific
19 type of pollutant. UAM, REMSAD for Ozone, REMSAD
20 was primarily was developed for PM 2.5 deposition
21 type applications. Recently in the last five or
22 ten years, the latest generation of
23 photochemical grid models are a one atmosphere
24 modeling system approach where we are trying to
25 treat all types of precursors species ozone and

2 PM in the same modeling system. An example
3 would be CMAQ and CAMx.
4 So the One Atmosphere approach may not be
5 particularly meaningful to people but the way we
6 look at it is we put in all different types of
7 sources, mobile, stationary point, area sources
8 and all the different types of precursors, NOx,
9 VOC, SOx, PM and toxics and use data science
10 chemistry and transport and meteorology inputs to
11 predict ozone, PM acid rain, visibility and
12 toxics, and even deposition.
13 This was a (inaudible) slide and wasn't
14 going to use it but got interested in the slide
15 on the right and how that fit into this big
16 picture and how that fit into this big picture.
17 I ended up interpreting this as we're trying to
18 prevent kids in this terrible dooms day air
19 pollution nightmare we're having up above.
20 That's what we're trying to do here is kind of
21 bring it back so we know why we're doing what
22 we're doing. We're trying to save these kids.
23 Photochemical models the governing equation
24 is at the bottom. Basically what is going on in
25 photochemical we're trying to make chemical

2 transformations (Gas- & Aqueous-phase and
3 Heterogeneous Chemistry); advection (Horizontal &
4 Vertical); diffusion (Horizontal & Vertical);
5 removal processes (Dry & Wet Deposition).
6 Just in case people are not that familiar
7 with photochemical models. The dispersion model
8 shown on the left with the plume (inaudible) at a
9 particular source plume kind of in its own
10 universe. On the right you have the entire
11 universe (inaudible) into one universe model.
12 Kind of like taking the emission sources and
13 putting a huge set of 3-D boxes on it to solving
14 for all these different processes going on in
15 each grid cell.
16 For photochemical models advantages, one of
17 the things in using a photochemical model for
18 single source is full state of the science gas-
19 phase chemistry, ability to estimate realistic
20 ozone concentrations, no need for a constant
21 ozone background value for PM, advanced aqueous
22 phase chemistry provides realistic sulfate
23 estimates; wet and dry deposition processes
24 included, photochemical models generally have
25 good temporal and spatial estimates of ammonia

2 concentrations, spatial/temporal representation
3 of ammonia and nitric acid concentrations and
4 state of the science inorganic chemistry
5 (ISORROPIA) allow for realistic nitrate
6 partitioning between gas and particle phase and
7 Source Apportionment tools allow for tracking of
8 single emissions sources or groups of emissions
9 sources.

10 More recently, Source Apportionment tools
11 have been implemented in photochemical models
12 which allows (inaudible) single or multiple
13 emission influences. This type of technology
14 combined with the science that is already in the
15 grid base models is starting to lend itself to
16 single source applications. I'll show some
17 examples in a minute. Source Apportionment
18 tracks the formation and transport of PM2.5/ozone
19 from emissions sources and allows the calculation
20 of contributions at receptors. Chemically
21 speciated PM2.5 contribution can be converted to
22 light extinction for visibility applications.
23 On the right I just plotted out how the
24 tracking occurs for PM on the top precursor to
25 particulate species. NOX --> NO3; SOX --> SO4; NH3

2 --> NH₄⁺ ; Primary OC --> POC; Primary species are
3 pretty self explanatory. Source Apportionment
4 also tracks VOC emissions too and secondary
5 organic aerosol, and inert species. Estimates
6 contributions from emissions source groups,
7 emissions source regions, and initial and
8 boundary conditions to PM_{2.5} by adding duplicate
9 model species for each contributing source.
10 Additionally NO_x and VOC emissions get tracked
11 for their contribution to ozone if you choose
12 that. There are also some toxics components but
13 I wasn't going to get into that in this
14 presentation.

15 So on the particulate side you see that
16 CAMx has particulate apportionment implemented
17 and that tracks all the chemical species: mercury
18 and PM sulfate, nitrate, ammonium, secondary
19 organic aerosol, and inert species. Basically,
20 the process in which to (inaudible) for a
21 particular source you would just include
22 additional model species. Just put in those
23 emissions and the models can track that with
24 duplicate model species. And goes with the same
25 type of atmospheric processes as all the others

2 species do in the photochemical model. The only
3 difference is for non-linear processes like gas
4 and aqueous phase chemistry are solved for bulk
5 species and then apportioned to the tagged
6 species.

7 This is an example of ozone source
8 apportionment that has been implemented in CAMx
9 v4.5 (OSAT & APCA) and CMAQ v4.6 (OPTM). Tracks
10 ozone contribution from sources similarly to PM
11 with reactive tracers, July maximum ozone
12 contribution from a source shown at right and
13 OSAT is simulated separately from particulate
14 source apportionment.

15 This is an example of using Source
16 Apportionment type technology. We converted the
17 output to 1 extinction but basically at the top
18 left is the maximum ammonium light extinction
19 estimation from that particular source in each
20 grid cell. You can see the hot spot over there
21 the source would be located. The photochemical
22 offers speciated data so it can figure out the
23 contribution from that source to ammonium
24 nitrate, ammonium sulfate and the primary
25 species. So clearly this particular source has

2 emissions dominated by sulfur dioxide.

3 This is the same thing I showed on the

4 right with the total of the maximum contribution

5 from a particular source over an entire year.

6 Just comparing that back to a very simple metric

7 emissions over distance to show that this type of

8 screening metric states they obviously agree with

9 each other, but there's a lot more detail going

10 on with the photochemical model because it's

11 taking a lot more processes into consideration.

12 Issues for using PCM for Single Source

13 Applications was touched on Photochemical models

14 resource intensive (computational, disk space,

15 staff) for multi-year applications, especially at

16 grid resolutions \leq 12km. Additional level of

17 staff expertise to get people who are comfortable

18 doing that. Existing community emissions inputs

19 (from States, RPOs, etc) for photochemical models

20 are actual emissions and may need to be modified

21 if more conservative emissions estimates are

22 necessary and useful for near-field applications.

23 The other thing about photochemical

24 grid models is how useful clearly it has gotten a

25 lot of utility for long range applications but

2 what about near-field applications? I think we
3 need to do some more testing and looking at the
4 earlier types of applications that have been done
5 working with near-field with photochemical
6 models. With the CPU getting cheaper and the
7 different types of extensions being added to
8 photochemical models like sub-cell receptor
9 locations, and 2-way nesting capability. And to
10 review existing near-field applications using
11 PCMs, evaluate tracer studies. The picture on
12 the right was a tracer experiment we just did a
13 preliminary test of that where we ran that
14 through a photochemical model and that's just an
15 example of what the concentrations look like.
16 Those are the types of evaluations we want to
17 keep working on and keep looking at.
18 Other work I will talk about briefly.
19 The mid west RPO did some preliminary testing
20 (not an evaluation of CAMx PSAT or CALPUFF) of
21 single source modeling with CAMx PSAT to compare
22 with CALPUFF visibility estimates. Several
23 States did single source visibility modeling for
24 sources less than 50 km from Class I areas; used
25 sub-grid plume treatment. To make a long story

2 short the (inaudible) modeling just try to apply
3 these consistently, they both use the same
4 meteorology output from MM5. CALPUFF was run in
5 a NOOBS mode. They were both processed to look
6 at the number of times in each grid cell that had
7 a 24 hour average [ed. concentration] (inaudible)
8 over background and they were both using actual
9 facility emissions not any potentials or
10 maximums.

11 The other thing I want to point out
12 before I show these result is this is not
13 intended to be an evaluation of CAMx, PSAT or
14 CALPUFF. We are not trying to say which is right
15 or wrong but to find out what the differences
16 are. This is an example for a few facilities on
17 the top we've got the CALPUFF results and on the
18 bottom are the CAMx PSAT results. One important
19 caveat to put on this is that CALPUFF look at
20 sulfate and nitrate impacts and CAMx just has
21 sulfate. That could be a part of the
22 differences, but I don't think we expect to see a
23 lot of visibility from nitrate. It wasn't as
24 common.

25 Generally qualitatively we saw a

2 similar type of response from both models. Not
3 amazing was CALPUFF had some larger extinction
4 (?) of the contribution. We applied CALPUFF with
5 the regulatory set of options which probably
6 closer to the most conservative types of things.
7 So you expect a larger contribution when you use
8 more conservative sets of assumptions. And with
9 the photochemical model really not a lot of
10 conservative assumptions you can make because it
11 is what it is.

12 This is just another group of sources
13 in the same area. Qualitatively, they are pretty
14 similar but the extent is slightly different.

15 Final remarks. I think the
16 photochemical grid models provide an opportunity
17 for credible single source modeling with Source
18 Apportionment methodology. These models have the
19 advantage of state of the science chemistry, but
20 that comes with increased resource burden. These
21 models are routinely used for other regulatory
22 purposes like O3/PM2.5/Regional Haze State
23 Implementation Plans so they do have regulatory
24 history and people are more comfortable with
25 using them in that way.

2 Tyler Fox: Thank you Kirk. Now we

3 will get more details from Ralph on single source

4 modeling for Ozone and PM.

5 Ralph Morris: Thank you. I guess Kirk

6 set the stage pretty well giving the goal and

7 concept in using photo grid models for single

8 source or groups of sources impacts. We're not

9 talking about fence line impacts, we're talking

10 more about the regional or further down wind a

11 little. There's no reason to go to a smaller

12 grid size if you can't use it for this. I'm

13 going to give some examples afterwards. This is

14 more of a slide for another group since this

15 group knows the guidelines and the guidance.

16 One of the emphasis for considering the

17 photo grid models for the single source

18 assessment are the new more stringent Ozone and

19 PM (inaudible) standards, and to pinpoint

20 contribution (?) (inaudible) components. We are

21 seeing now more and more what is my source or are

22 regional offices or states are asking: "What are

23 the contributions of source to the Ozone and

24 PM_{2.5}?"

25 New 0.075 ppm 8-hour and 35 µg/m³ 24-hr

2 PM2.5 NAAQSs will bring many more areas into
3 nonattainment, PM2.5 NAAQS increases importance of
4 secondary PM2.5. Capability needed to obtain
5 individual contributions to ozone and PM2.5
6 concentrations, deposition and visibility.
7 Current guideline models have no (AERMOD) or
8 highly simplified (CALPUFF) representation of
9 chemistry. Photochemical Grid Models (PGMs) have
10 capability to correctly treat chemistry. But how
11 can they resolve and correctly simulate near
12 source plume chemistry and dispersion?
13 PGMs can only resolve impacts to the
14 grid resolution. Fine grid size is needed near
15 the source to resolve near-source plume chemistry
16 and dispersion. Need many grid cells to assess
17 downwind impacts. High computer resource
18 requirements. Must account for all emission
19 sources. Needed to correctly simulate chemistry.
20 Databases more costly to develop. MM5/WRF
21 applications. SMOKE or other emissions model
22 and more expertise needed in their application.
23 So why are we considering this now?
24 There has been a lot of development in modeling
25 capability for PGM for single source but we do

2 have two-way interactive grid nesting. Allows
3 fine grid over sources with coarser grid downwind
4 when plumes are larger. Flexi-nesting where you
5 can specify fine grid to resolve point source
6 plume chemistry and dispersion without providing
7 met and emission inputs and full chemistry Plume-
8 in-Grid Modules. Treats unique near-source
9 chemistry of point source plumes. Both CMAx and
10 CMAQ have PM and Ozone Source Apportionment and
11 allows individual source(s) assessments. Of
12 course computational advances. Availability of
13 PGM Databases and model set ups. RPOs, AIRPACT,
14 SIPs, etc. and EPA has been developing stuff.
15 I talked about the two-way interactive
16 grid nesting and the flexi-nesting and in CAMx
17 you have to specify the grid it interpolates.
18 Allows specification of high resolution grid over
19 sources with coarser grids downwind where plumes
20 are larger. Interpolate meteorology, emissions
21 and/or other inputs for nested fine grid from
22 coarse grid data. Allows fine grid treatment of
23 point source plumes. Available within the CAMx
24 model (just specify where fine grid domains are
25 desired in job script). Have developed tool to

2 generate flexi-nest fine grid inputs for CMAQ
3 (for EPA/OAQPS)

4 I think I borrowed this from Prakash.

5 He talked about the Stage 1 and Stage 2 and the
6 evolution of the plume where there's no Ozone
7 formed, no secondary PM formed and no stages are
8 very little. Whereas in a grid model you dump
9 those emissions and it starts forming Ozone and
10 PM2.5 immediately. That's one of the purposes of
11 the Plume in Grid model.

12 I think Kirk talked about the Ozone and
13 PM Source Apportionment so I don't have to talk
14 about that. We'll get back on time here. I'm
15 going to talk about applications. One is down in
16 Texas Group BART application. CAMx 36/12 km with
17 P-in-G and PSAT. Estimation of individual
18 contributions of 31 point sources to annual PM2.5
19 in the eastern U.S. Individual point source
20 contributions to 2009 annual PM2.5 concentrations.
21 Visibility Improvements for States and Tribal
22 Association of the Southeast (VISTAS) and
23 Association for Integrated Planning of the
24 Southeast (ASIP). Annual PM2.5 SIP modeling for
25 St. Louis. Effects of local sources on PM2.5

2 nonattainment.

3 I have one slide on the Texas Bart but Texas
4 had like 200 potential Bart eligible sources.
5 Rather than running each one individually we
6 decided to do group analysis and run them in
7 groups of 10. In each group Bart analysis of 10
8 sources at a point use PSAT to obtain PM2.5
9 contributions of groups of Texas BART sources for
10 comparison with 0.5 deciview threshold. CENRAP
11 2002 36 km modeling CAMx database. Add 12 km
12 flexi-nest grid covering Texas and nearby Class I
13 areas. Use IRON P-in-G for Texas BART Source.
14 Another application is the PM2.5 Ozone ASIP
15 model a part of VISTAS ASIP. Here's a 36 km: 148
16 x 112 (4 days), 12 km: 168 x 177 (10 days), 2002
17 Annual Runs, 4 Quarters w/ ~15 day spin up, MPI
18 w/ 6 CPUs, 19 Vertical Layers, M3Dry, CBM-
19 IV/AE4/SORGAM, SOA mods. In 2005 VISTAS enhanced
20 CMAQ to include SOA from sesquiterpenes and
21 isoprene (Morris et al., 2006).
22 Some ASIP/VISTAS states wanted to know
23 individual contributions of several point sources
24 to 2009 PM2.5 levels. 31 individual point sources
25 in 6 states identified. Contributions due to SO2

2 and primary PM emissions requested. CALPUFF
3 considered for assessment. Not consistent with
4 CMAQ full-science chemistry. Provide
5 inconsistent source contributions with 2009 PM2.5
6 SIP projections. ASIP 36/12 km database
7 inappropriate for individual point source
8 modeling. 12 km grid cell size too coarse to
9 treat chemistry and dispersion of point source
10 plumes. Use of high enough resolution to resolve
11 point source plume would be computationally
12 prohibitive. Would need to perform base case and
13 31 zero-out runs to get individual source
14 contributions. Elected to develop a new CAMx
15 2002 database, 12/4 km domain with two-way nested
16 grids. Plume-in-Grid to address near-source
17 chemistry and dispersion. PM Source
18 Apportionment Technology (PSAT) to obtain
19 individual source contributions.

20
21 This is our CAMx 12/4 km domain nested
22 within ASIP 12 km CMAQ domain (one-way nesting).
23 CAMx 12/4 modeling using two-way interactive grid
24 nesting. 2002 base case using standard model.
25 2009 base case with PSAT PM2.5 source

2 apportionment for 31 point sources.

3 Here's the Huntington and Ashland and

4 Charleston 4 km domains. Little crosses are

5 point sources and circles are (inaudible) method

6 monitors where we are asked to get the PM2.5

7 impacts. You can see in some cases the sources

8 are located close to the grid model to the

9 monitor and sometimes almost (inaudible) I admit

10 that when you are doing primary PM impacts

11 (inaudible) for that other model CALPUFF.

12 Something that has finer grid. So they're pretty

13 close there in some cases. Okay.

14 Here's the source apportionment. The

15 largest contributions are the boundary

16 conditions. The boundary conditions are outside

17 the 12 km grid of (inaudible) and the second

18 largest is the purple all the sources. These

19 things here are the contributions of the 31 point

20 sources. It doesn't give us much information so

21 get rid of the boundaries and other sources and

22 have a contribution of 31 point sources. The

23 projected 2009 design barriers at these monitors

24 and these are the contributions. One thing we

25 did compare (inaudible) to CAMx projections from

2 the 12 and 4 km with the CMAx from the 12 point
3 grid.

4 For these 31 sources the contributions
5 are (inaudible) and those are pretty large
6 contributions. The largest single source
7 contribution is this source right near the
8 monitor and that's about 2 μg which is a large
9 contribution source on a monitor. In this case
10 it's not above 15. Here's 1 μg for this model.
11 In St. Louis Regional 36/12 km grid and
12 CMAQ V4.5 SOAmods. Projected 2009 and 2012 PM2.5
13 Design Values at Granite City and East St. Louis
14 still exceed the annual PM2.5 NAAQS.
15 Evidence that local sources contribute
16 to PM2.5 nonattainment at Granite City Monitor
17 (B) and Washington St. Monitor (A).
18 Turner and co-workers (2007a,b,c,d)
19 have developed a Conceptual Model for PM2.5
20 exceedences in the St. Louis area. They found
21 that local sources contribute $\sim 3.2 \mu\text{g}/\text{m}^3$ to PM2.5
22 at the Granite City monitor on average. The CAMx
23 12/4/1 km PiG modeling attributes $3.4 \mu\text{g}/\text{m}^3$ to
24 local sources at Granite City. Recent advances
25 in PGMs make them more suitable for assessing

2 "single source" contributions to ozone, PM2.5,
3 visibility and deposition. Fine resolution
4 grids, two-way grid nesting, and flexi-nesting.
5 Full chemistry Plume-in-Grid modules. Ozone and
6 PM source apportionment. Full gas-phase and
7 aqueous-phase chemistry and aerosol thermodynamic
8 modules. The use PGM modeling to assess "single
9 source" air quality, visibility and deposition
10 issues have become more routine. ASIP point
11 source PM2.5 assessment. Oil and gas AQ and AQRV
12 assessments as part of NEPA, Texas and Arkansas
13 BART assessment. PM2.5 SIP modeling.
14 Conclusions are that recent advances in
15 PGMs make them more suitable for assessing
16 "single source" contributions to ozone, PM2.5,
17 visibility and deposition. Fine resolution
18 grids, two-way grid nesting, and flexi-nesting.
19 Full chemistry Plume-in-Grid modules. Ozone and
20 PM source apportionment. Full gas-phase and
21 aqueous-phase chemistry and aerosol thermodynamic
22 modules. The use of PGM modeling, to assess
23 "single source" air quality, visibility and
24 deposition issues, has become more routine. ASIP
25 point source PM2.5 assessment. Oil and gas AQ and

2 AQRV assessments as part of NEPA. Texas and
3 Arkansas BART assessment. PM2.5 SIP modeling.
4 That's all I have.

5 Tyler Fox: Thank you Ralph. Are there
6 any questions on single source?

7 Joe Scire: TRC. I have a question
8 for Ralph. When you do the (inaudible) cell
9 analysis do you treat terrain elevations of the
10 receptors within the cells. The second question
11 is do you treat any wind variability within the
12 cell due to (inaudible)?

13 Ralph Morris: No just using the wind
14 that comes from the whatever you (inaudible)
15 whether it's a gridded wind field or (inaudible).
16 It's a simple application from that respect. And
17 as far as the terrain the receptors are at the
18 ground level so I imagine you could elevate the
19 receptor if you like. These models are terrain
20 (inaudible) a simple representation at this
21 point.

22 Joe Scire: There's no terrain
23 variability in the cell? That's my question
24 really.

25 Ralph Morris: Yes, the terrain

2 (inaudible) so any terrain effects are in the
3 wind fields that come out of MM5.

4 Joe Scire: That would be a resolution
5 of the (inaudible) the cell itself.

6 Ralph Morris: Yes.

7 Bob Paine: ENSR. I have a question
8 for EPA. Basically Appendix W Guidance on
9 modeling single source for Ozone PM2.5 seems to
10 be sort of lacking. Are there any plans to
11 enhance that?

12 Tyler Fox: The purpose of this
13 conference is to introduce these types of methods
14 I think as we continue to evolve and as people
15 have shown today and recognizing applications
16 like Ralph has mentioned here. We need to begin
17 to consider these things. As for changes from
18 Appendix W would have to fall out of discussions
19 both internally, with you in the community and
20 with our policy folks in the Air Quality
21 division. The intent here is to make us all
22 aware and to identify that they could build an
23 important need. As folks know with respect to
24 the PM2.5 there may be some aspects of the
25 implementation rules lacking in terms of

2 accounting for secondary formation in some parts
3 of the country, that could be a significant
4 contribution. And if we are not accounting for
5 that in our permit programs that may not be
6 getting us where we need to be in terms of
7 attainment in those standards. Any other
8 questions?

9 That concludes this part of the
10 conference sessions and what we have now is the
11 public session. Let me walk through the line up
12 for that.

13 Peter Eckhoff: Some of you might be
14 leaving here pretty soon. You're welcome to keep
15 your badges, but if you want us to recycle them
16 for later use, I'll put a box on the registration
17 table. Thanks.

18 Tyler Fox: so that everybody knows,
19 we've got the schedule laid out for the
20 presentations. We'll start with Bruce Egan
21 comments on behalf of API. Doug Blewitt has two
22 presentations, and then there is a presentation
23 for Peter Manousos and then multiple
24 presentations on behalf of AWMA. Then we have
25 comments on behalf of UARG from Hunton &

2 Williams. There's another presentation from
3 George Delic and another addition from Mark
4 Garrison from ERM and that's the long and short
5 of our public presentations. Is there anybody
6 here who is not accounted for who plans to make a
7 presentation. Then I'm assuming I have
8 everything here. Bruce if you would like to come
9 on up. If you would just say your name and
10 affiliation for the record, please recognize
11 these will be made public.

12 Bruce Egan: Good afternoon I'm Bruce
13 Egan from Egan Environmental. My co authors are
14 Steven R. Hanna, Hanna Consultants, who is
15 talking about the same topic in Croatia at the
16 moment and Elizabeth M. Hendrick, CCM, of Epsilon
17 Associates Inc. We are providing comments for
18 the API.
19 Promulgation of more stringent ambient
20 air standards has resulted in more non-attainment
21 areas and the need for more complex and more
22 regional modeling. These comments cover many
23 issues relating to aspects of the EPA's Guideline
24 on Air Quality Models. Highlights are listed
25 here and our written comments will contain

2 details and references. We are going to provide
3 written documentation of this. We'll go through
4 an abbreviated version of our prepared slides as
5 we see there are a lot of things ongoing and
6 there will be redundancy.

7 We had discussions yesterday of CALPUFF
8 and documentation. We would like to see that
9 completed and brought up to date. And there is a
10 general concern that API has more EPA Guidance
11 Workshops and training. Over the past two days I
12 have seen a lot of response from EPA even before
13 we put the comment in. It is pleasing to see
14 much more discussion about the models and the
15 background.

16 One of the topics is distance limits on
17 models especially on CALPUFF and AERMOD. As you
18 know there is a 50 km cut off that differentiates
19 CALPUFF and AERMOD at this time. We don't think
20 the distance should be arbitrary like that and
21 should depend on the scientific issues including
22 meteorological data and land use variations. Can
23 you hear me? Okay. What is the minimum domain
24 size and grid size where grid models such as CMAQ
25 or CAMx can be used, and what is the

2 recommendation for Plume in Grid (PinG) modeling?

3 Distance limits should not be arbitrary, but
4 should depend upon scientific issues, including
5 topography, wind persistence data and land use
6 variations.

7 There has been an increase in the use
8 of meteorological drivers (e.g., diagnostic
9 models such as CALMET and prognostic full-physics
10 models such as MM5) for both steady state and
11 time varying dispersion models (e.g., AERMOD,
12 CALPUFF, CMAQ). Prognostic meteorological models
13 such as MM5 and WRF (often called 'Met models')
14 have been improving with advances in science and
15 resolution. We'd like to see EPA reach out to
16 talk to some other agencies that are working on
17 this including DTRA and NOAA who have linked MET
18 models with MM5 and WRF and the Puff models.
19 We'll come back to this issue.

20 One of the research efforts we think is
21 needed is to optimize use of Met model and CALMET
22 model predictions with observations. Specific
23 issues to clarify differences between full-
24 physics Met models (e.g. MM5) and CALMET; look at
25 assessing the effects of grid size and vertical

2 grid spacing on bias and accuracy and to develop
3 recommendations for optimal grid sizes for
4 different topographic and meteorological
5 settings; minimum grid size (Penn State MM5
6 developers recommend 4 km as a safe general rule,
7 although 1 km can be used in special cases; this
8 is due to physical assumptions in the model).
9 We'd like to see overall model
10 performance of Met models coupled with dispersion
11 models vs. field study data sets; and possible
12 new field experiments to determine how met
13 observations can best be used and assimilated in
14 Met models? (e.g. note differences between NCAR
15 and Penn State MM5 Met model data assimilation
16 methods). We'd like to assess if CALMET (or any
17 diagnostic model) is truly needed as an
18 intermediate step between the Met model and the
19 AQM. EPA should work with other agencies (DTRA,
20 NOAA) who have operational Met model-AQM systems
21 operating and make use of their technology where
22 appropriate.
23 Determine overall model performance of
24 Met models coupled with dispersion models vs.
25 field study data sets; possible new field

2 experiments. Determine how met observations can
3 best be used and assimilated in Met models? (e.g.
4 note differences between NCAR and Penn State MM5
5 Met model data assimilation methods). Assess if
6 CALMET (or any diagnostic model) is truly needed
7 as an intermediate step between the Met model and
8 the AQM.

9 Work with other agencies (DTRA, NOAA) who have
10 operational Met model-AQM systems operating and
11 make use of their technology where appropriate.
12 We'll talk some more about data gathering in
13 Wyoming and we'd like to see databases developed
14 further which would provide monitoring data and
15 emissions data inventory.

16 We see a need for an overall model
17 evaluations of CALPUFF using full chemistry as
18 very limited evaluations of the model in the mode
19 that it is being used have been conducted.

20 Evaluation should include other models such as
21 SCIPUFF And the ability to handle complex
22 terrain, short term puff dispersion, chemical
23 reactions, and other incorporated capabilities
24 (e.g. FOG) needs to be evaluated. We recommend
25 that EPA modify the chemistry, based on API/AER

2 recommended revisions.

3 We think that documentation is incomplete,
4 and lack of detail causes many users to rely
5 heavily on default values. Need to resolve met
6 input questions (CALMET or Met model such as MM5
7 - see previous slides on Met inputs). Need to
8 test the use of CALPUFF for regional AQRV
9 analyses (NEPA studies are currently using this
10 approach in the West). Operational use should be
11 based on peer and stake holder review using best
12 science approach as opposed to IWAQM mandates.
13 We'd like to see this (field experiment)
14 happen. Purpose: to test and improve the linkage
15 of Met models and air quality models in
16 mountainous terrain, such as Wyoming where there
17 is much current mesoscale and regional modeling
18 underway. EPA should lead the effort with
19 invited participation of API and other industries
20 and stakeholders. Include meteorological
21 observations, tracer releases, and PM and
22 visibility observations over an area of about 200
23 km by 200 km, sufficient to test the use of Met
24 model (e.g., MM5) direct input versus CALMET
25 diagnostic model.

2 I'd like to switch to model evaluation
3 uncertainty and these slides were written before
4 we knew all the things EPA is doing. Recent
5 improvements in regional dispersion model
6 performance measures have been made; EPA efforts
7 (in collaboration with members of an
8 international workgroup) are described in a
9 recently submitted paper by Dennis et al. I
10 think Bob Paine has captured a lot of what we
11 were talking about here. Rather than having
12 different evaluation approaches and performance
13 measures for the different model scales, a
14 comprehensive set of performance measures should
15 be devised for use at all model scales. I
16 realize this differs on applications but I think
17 we're talking about the context of regulatory
18 models and we understand that some of the models
19 response is entirely dependent upon the set of
20 priority performance methods.

21 The bootstrap method was talked about this
22 morning and I won't spend much time on this.
23 John Irwin was instrumental in the ASTM software
24 and Joe Chang and Steve Hanna have been active
25 with the BOOT software. We think the model

2 acceptance criteria should be set and used in
3 modeling protocols and decision making. We also
4 believe uncertainty in model predictions (also
5 called "probabilistic forecasts") should become
6 available to and used by regulatory decision
7 makers. EPA should investigate and possibly make
8 use of the probabilistic AQM system (Met model -
9 SCIPUFF) in use at DTRA.

10 We understand the screening model,
11 AERSCREEN, is coming out soon. We'd like to see
12 the establishment of a peer-review panel from all
13 segments of the community to review planned
14 improvements and draft documents produced and EPA
15 incorporate algorithms for near calm winds and
16 test with appropriate field data sets; improve
17 algorithms for use in urban areas, especially for
18 near-ground sources in built-up downtown areas
19 and determine science-based criteria for deciding
20 distance limits and whether "complex terrain" is
21 significant.

22 Based on EPA guidance, EPA limits the
23 influence of nearby land use in parameterizing
24 surface roughness to a 1 km radius of ASOS
25 anemometers generally located on airport

2 property. For many pollutant sources this means
3 that the dispersion modeling domain is dominated
4 by surface roughness of airport property. Better
5 guidance is needed for translating the airport
6 wind observations to the land characteristics of
7 the pollutant source domain. For most pollutant
8 sources that use airport data, the dispersion
9 model domain is going to be entirely dominated by
10 the surface modeling of the airport roughness.
11 We'd like to see better guidance for translating
12 the airport wind observation to the land
13 characteristics of the pollutant source domain.
14 This is the bottom line out of this.
15 Issues on the AERMET output. AERMET Stage 3
16 output should summarize the processed met data so
17 the user knows during the AERMET processing steps
18 if that year of data is suitable for regulatory
19 modeling purposes (>90% available). We'd like to
20 see that summarized. Currently this summary
21 information is not provided until AERMOD is run.
22 We are interested in the Plume Molar Volume
23 Ratio Model (PMVRM. We like for EPA to further
24 test this model and, if acceptable, recommend the
25 use of this model for predicting NO2

2 concentrations in the presence of ambient air
3 ozone concentrations. This should be performed
4 for both AERMOD and CALPUFF.

5 Little change of subject here. We believe
6 EPA has asked questions and asked for advice on
7 non-regulatory driven studies concerned, for
8 example, with health risk assessments use AQ
9 monitoring data combined with statistical
10 correlations as a substitute for the use of
11 detailed dispersion models (AERMOD, CALPUFF, or
12 CMAQ) for estimating air quality concentrations.

13 EPA should promote consistent and general
14 use of dispersion models that are based on
15 physical understanding of meteorological
16 principles (e.g., AERMOD, CALPUFF, CMAQ, CAMx
17 etc.) as opposed to statistical fits to site
18 specific concentration data sets. The use of
19 statistical models in place of more rigorous
20 dispersion models should be reviewed by an expert
21 panel that includes all scientific and
22 stakeholder communities. We'd like to see EPA
23 deal with that. I don't know if they can do it
24 in the context of the guidelines, but it would be
25 good for the overall community instead of

2 improving statistical fits.

3 Avoid arbitrary non-scientific criteria for

4 model selection (such as eliminating models with

5 a bias for over-prediction). Encourage

6 scientific peer review of all models (i.e., both

7 internal EPA and outside models) and of proposed

8 modifications to model algorithms. Model

9 acceptance criteria should be developed through

10 discussions with the entire community of model

11 developers and stakeholders.

12 Need to update and improve model guidance

13 and documentation. Encourage development and use

14 of science-based models through model evaluation

15 efforts and enhanced public involvement. Test,

16 validate, and recommend procedures for using

17 meteorological models to drive dispersion models.

18 Conduct a Mesoscale/Regional collaborative model

19 evaluation using the existing databases and/or

20 conduct a field experiment that could be used to

21 evaluate regional models in rural regions in the

22 intermountain west or similar location. Thank

23 you.

24 Tyler Fox: Okay next we have Doug Blewitt.

25 I did want to mention one other thing, it's

2 come up here and other contexts in terms of
3 ASIP modeling and the like. I just want to
4 emphasize a couple of things. One is EPA
5 guidance, it's just that and sometimes it's
6 interpreted as prescriptions and if you
7 don't follow exactly what we say you won't
8 be allowed to do something. I think we need
9 to recognize and I know it cuts both way.
10 But guidance is just that, guidance. Second
11 point is that guidance we provide is only as
12 good as the information you provide us or
13 the information we have.
14 As a community and as it relates to
15 issues here, guidance has to have a basis
16 and has to be informed through experiences.
17 Experiences learned not just by us but by
18 you all. And so to the extent that in three
19 years we would hear of your experiences.
20 But in the interim, sharing those
21 experiences here either through these
22 specific applications with the state and
23 local folks and regional folks and making
24 sure those are understood, and will promote
25 more communication and discussion within the

2 region and state and local modeling.
3 Sharing that information through
4 publications; the folks in ORD in developing
5 CMAQ will look to the peer review literature
6 as we would and so to the extent these
7 things are published to the extent there are
8 other conferences.

9 Having more of an opportunity to get
10 that information into our zone of awareness
11 if you will, will definitely help that out
12 and we can build a consensus and
13 understanding so that we can provide the
14 type of guidance that is needed. Providing
15 guidance that is just complained about and
16 not useful to you all. If we can work
17 better together that we can provide guidance
18 that meets your needs and has more of a long
19 term value. I think that will be more
20 useful to us. I just wanted to make that
21 comment in terms of the general concept of
22 EPA guidance.

23 Doug Blewitt: Thank you. What I'd
24 like to do is present issues related to air
25 quality modeling for regional analysis for

2 oil and gas development in the West. I'm
3 not presenting this in the context of an end
4 user and will try to present you with some
5 of the challenges and issues and try to
6 communicate to EPA some of the things we
7 need to work together on. I am going to
8 propose some long term solutions to this.
9 What we're really talking about and you
10 mentioned yesterday that we need
11 consistency. The reason we developed
12 guideline models was to take a model and
13 look at it against observational data and
14 see how it performed under a wide range of
15 conditions.
16 And if we got reasonable agreement with
17 that evaluation, we could use the model in
18 future forecasting situations without
19 additional verifications. And what I'm
20 going to challenge EPA here is that in the
21 context of AQRV analysis which is what we
22 are concerned with in terms of oil and gas
23 development in the West. We haven't lived
24 up to that standard because as Bruce just
25 said the model has not been evaluated to a

2 large extent in a full chemistry mode. And
3 that's the way we're using the model and
4 there are some challenges and issues with
5 that.

6 Most of this work is being done for oil
7 and gas in the context of NEPA. You heard
8 Ralph talk about that. CALPUFF is being
9 used for analysis of future year regional
10 air quality impacts under NEPA
11 (Environmental Impact Statements) for oil
12 and gas development in the West. A typical
13 NEPA analysis includes up to 700 sources and
14 impacts are projected over a 20 year period.
15 Air quality modeling approach is: "Use
16 the best available science to support NEPA
17 analyses, and give greater consideration to
18 peer-reviewed science and methodology over
19 that which is not peer-reviewed." (Bureau of
20 Land Management (BLM) National Environmental
21 Policy Act Handbook H-1790 H-1790-1).

22 Visibility and deposition impacts from NOx
23 emissions are the pollutants of concern.
24 AQRV modeling approach is to develop a
25 baseline emission inventory of sources not

2 included in the monitoring data which is
3 then added to cumulative emissions from new
4 sources.

5
6 Formulation of CALPUFF chemistry. Lack
7 of a robust model performance evaluation in
8 a full chemistry mode. Indication of model
9 bias for NO₃ impacts compared to monitored
10 values. Outdated and prescriptive IWAQM
11 methodology is required for model
12 application.

13 In the MESOPUFF II chemistry module
14 used in CALPUFF, SO₄ formation is described
15 by 4 variables:

- 16 1) Solar Radiation;
- 17 2) Background Ozone (surface, user
18 provided);
- 19 3) Atmospheric Stability; and
- 20 4) Relative Humidity (surrogate for
21 aqueous-phase)

22 NO₃ formation is described by 3
23 variables:

- 24 1) Background Ozone;
- 25 2) Atmospheric Stability; and

2 3) Plume NO_x Concentration

3 Aqueous-phase SO₄ formation is

4 inaccurate because it is solely based on

5 surface relative humidity (RH). In reality,

6 aqueous-phase SO₄ formation is not at all

7 affected by RH. The MESOPUFF II

8 transformation rates were developed using

9 temperatures of 86, 68 and 50°F. A 50°F

10 minimum temperature will overstate SO₄ and

11 NO₃ formation under cold conditions. - A

12 major issue in the intermountain West.

13 This is some work Ralph Morris did.

14 It's a comparison of CMAQ chemistry verses

15 CMAQ MESO PUFF II chemistry. The blue dots

16 are MESOPUFF II and the red dots are CMAQ

17 and you can see there is a substantial over

18 prediction to the MESOPUFF chemistry

19 compared to the CMAQ chemistry. This is

20 done for all improved sites and all CASTNET

21 sites in the US. This is an indication that

22 the system we're using here is that the

23 chemistry is not working as it should be.

24 This is another figure that was in

25 Prakash's discussion yesterday. This is a

2 different graph out of his results. There
3 are big differences between MESOPUFF
4 chemistry and RIVAD and some modified RIVAD
5 that API has done. We have this issue of
6 developing nitrate concentrations in excess
7 of theoretical limits and we need more
8 discussions on that.

9 Joe mentioned yesterday the SWWYTAF
10 analysis and presented some graphs. This is
11 really the only model verification that has
12 been done in terms of CALPUFF. RIVAD
13 chemistry was used. When boundary
14 conditions were included model agreement was
15 very good. Results were unpaired in time
16 and space. Analysis indicated that NO₃
17 formation was limited by NH₃ concentrations.
18 This is not the way that agencies are
19 requiring that the model should be used.

20 The following examples present a strong
21 indication that the as CALPUFF Model using
22 the IWAQM protocol, has a substantial bias
23 towards over predicting NO₃ concentrations.
24 This was the frequency distribution for
25 Bridger CLASS I area outside of Pinedale

2 Wyoming. An area very heavily in oil and
3 gas development; a lot of oil and gas wells.
4 The blue line is the 05 frequency
5 distribution site and the red line is what
6 CALPUFF is predicting. Now we can get into
7 issues of is the monitor in the right
8 locations and I think those are valid
9 questions. The issue is the source region
10 is probably 30 to 50 km maybe even more away
11 from the Class I areas. So you are not
12 going to see sharp concentration gradients
13 up there. But I'm going to challenge you
14 with some things to think about.
15 In this context, the model is not
16 performing very well at all. If you look at
17 the improved monitoring data at Bridger over
18 the period of record, 88 through 05 there's
19 no change in nitrate out there. There's
20 been a lot of growth in NOx emissions over
21 the time period but nitrate really hasn't
22 changed dramatically.
23 I would submit if the monitor wasn't
24 placed in the right location, you would see
25 some differences in these frequency

2 distributions. If you look at the measured
3 concentrations the maximum measured there's
4 no change. The difference in maximum
5 concentrations is certainly not enough to
6 say the monitor is in the wrong location and
7 that the model is performing correctly.

8 Relative extinction contribution for
9 various species for the 100 Worst Days at
10 Bridger (Rayleigh Scattering is not
11 included). What is the composition of that
12 material? The blue is sulfate and the red
13 is nitrate. Nitrate isn't playing much of a
14 role of visibility [ed. reduction] yet the
15 model is saying it is playing a very
16 substantial role. In this context we're not
17 really doing a very good job of model
18 accuracy.

19 If you look at Bridger a little bit
20 further, this is the total visibility.
21 We've had growth in non emissions and
22 visibility is not improving. This is a very
23 different picture than what the model is
24 saying. This has become a political model
25 and the public is believing the model. This

2 has become a very emotional issue in the
3 West. Both in Wyoming and the Four Corners
4 area. I think we are doing some disservice
5 to the science here and not looking at this
6 in a more complete fashion.

7 Another example, I did some analysis of
8 the Hayden Power Plant Bart analysis done by
9 CDPHE. And I looked at this in kind of a
10 quick fashion but what I came away with and
11 this is a single source area in Central
12 Colorado, if you look at the ratio at the
13 mountain circle as to what nitrate to
14 sulfate in CALPUFF, it's saying the nitrate
15 is much larger than the sulfate. The way
16 the model is being used is not realistic.
17 This is another analysis and it is not
18 clear cut. Estimated Change in NOx
19 Emissions in Southwestern Colorado and
20 Northern New Mexico Verses Measured Visual
21 Range At Mesa Verde. I could argue this
22 could be a 50 to 100,000 ton increase. The
23 issue is as new production was run in that
24 area, the emissions dramatically increased
25 in that time and yet we seem to have changed

2 in the monitoring data.

3 Monitoring data versus CALPUFF, 80,000

4 ton no change about 7,000 ton you see a

5 little change. Again, the model doesn't

6 seem to be working well. What do we do

7 about this? I think there are some long and

8 short term solutions. In a long term

9 process there is a clear need for

10 comprehensive model evaluation of CALPUFF in

11 a full chemistry model. Without a doubt

12 this is the most important thing that can be

13 done with this model.

14 There are currently data sets being

15 developed in Wyoming, New Mexico and

16 Colorado of emission inventory of actually

17 of 05 and 06. It seems one of the biggest

18 limitations in emission inventories. We're

19 starting to build some databases here, but

20 it needs to be done in a public

21 collaborative process. As Bruce mentioned,

22 API would like to be involved in some of

23 this work. It's a long term thing.

24 The conclusions and recommendations

25 include the widespread use of meteorological

2 model output in air quality modeling
3 requires: The accuracy of MM5/CALMET model
4 output must be tested for each dispersion
5 model application; EPA needs to coordinate a
6 stakeholder group to develop guidelines for
7 the use of meteorological models in air
8 quality analyses.

9 Topics that the modeling community
10 needs to address are: Which meteorological
11 model should be used? Grid size? How
12 should meteorological monitoring sites be
13 included in modeling? Model performance
14 criteria? Meteorological model accuracy is
15 more important than the number of years of
16 model results used in an air quality
17 analysis

18 With that I'll let you think about it.

19 Tyler Fox: Next we have Peter Manousos

20 for use of NOAA reanalysis data.

21 Peter Manousos: This is going to be

22 pretty quick it's just 10 slides. This is
23 sort of a mechanical experiment to see if we
24 can use reanalysis as a source for
25 meteorological input in AERMOD and AERMET.

2 There are reanalysis data assets outside
3 that might now be suitable for use as a
4 meteorological input into AERMOD. So that's
5 the goal I'll show you what we've done so
6 far. Not to put you to sleep and I guess
7 I'll answer questions after that.
8 Just really quickly. I'm from a
9 company called First Energy a really great
10 company in Akron, Ohio and this, the borders
11 don't show up very well, but this Ohio,
12 Pennsylvania and New Jersey. These are our
13 service areas. I've only been there for one
14 year and a half. I used to work for the
15 weather service for about 15 years. That's
16 why I'm dealing with some of the reanalysis.
17 If you don't know what it is.
18 Reanalysis data is a dynamically consistent
19 3D analysis ("gridded snapshot") of the
20 atmosphere for a given point in time. It's
21 based off of observed data and not a
22 prognostic product. Every so many hours
23 NOAA cycles their models with initial data
24 and what they've done they have gone back as
25 far back as 1948 to create a reanalysis data

2 set. More recently you heard in the HYSPLIT
3 discussion this morning there is a
4 reanalysis data set that goes back to 1979
5 that is available at 32 km resolution across
6 the US.
7 Who supplies it? NOAA and ECMWF.
8 Why the interest for AERMOD?
9 Potentially a source for site specific data -
10 more representative and more complete than
11 standard upper air and surface observations
12 sets. Public domain (data and conversion
13 software) and its free. Before I embarked on
14 this study I guess or activity I went and dug
15 around and ask some questions has anyone done
16 this before or am I reinventing the wheel? Not
17 much has been done. Google on AERMET and
18 Reanalysis gives only 4 relevant hits - an end
19 to end process has not been formally outlined.
20 I thought I had a typo so I typed it over.
21 This is going to be hard to see but
22 these are your upper air sites across the CONUS
23 (lower 48 States of the (inaudible) US) and
24 some of Canada. This is a reanalysis data set
25 of 2.5 degree by 2.5 degree resolution. This

2 data set goes back to 1948 and is available at
3 6 hours increments now. So you can see you
4 might get some more site specific data but if
5 you use the North American Reanalysis data and
6 hope you can see this.

7 This is a 32 km grid so it's really
8 attractive at least in upper air data source
9 for input in to AERMOD. And so being kind of a
10 weather and technical geek, let me see if I can
11 pull some of this data in and run it through
12 the model. Again it was more of a mechanical
13 exercise. I haven't gotten to the point of
14 creating wind roses and finding out how many
15 calms verses what the observed data might have.
16 I just wanted to see if it would work first.

17 Just to give you an idea; this is an
18 observed sounding and it has some really good
19 vertical resolution. The red squares here give
20 you an idea of the mandatory levels that are
21 required by a sounding. But in our data of
22 North American Reanalysis the blue ovals show
23 the vertical resolution of the upper air data
24 set and it's in 25 mb resolution from the
25 surface up to 700 mb and above 200 mb. Between

2 700 mb and 300 mb, you only have 50 mb
3 resolution. Again it seems like you know
4 something that is worthy to investigate.
5 So I talked to Bret Anderson at a recent
6 conference in Boulder at the Ad Hoc conference.
7 You know I've got a method that I can extract
8 the gridded data and put it in a text format.
9 How do I test it? He said to go on the SCRAM
10 site and use some of the cases that are there.
11 It wasn't as straight forward as I thought it
12 would be so I got one case.
13 Well it was really difficult I found some
14 issues that some of the cases were using older
15 versions of AERMOD that couldn't quite run in
16 AERMET and I couldn't repeat. I didn't have
17 the older code so I had to be selective and I
18 only could get one site so I used this case
19 called WAVCO I don't know what that stands for.
20 It was just a data set for me and I used it.
21 It uses Pittsburgh PA surface and upper air
22 data (and on site data). Re-run with NARR (ed.
23 North American Regional Reanalysis). Upper air
24 data extracted from NARR grid and interpolated
25 to a point at the location of Pittsburgh upper

2 air site.

3 All other data remained consistent with the
4 control case. Comparison of runs (24h max
5 concentration for SO₂). NARR run within 5% of
6 control for 1st high. NARR run within .07% for
7 2nd high. Receptor location and data of 1st and
8 2nd high identical in both runs.

9 You're looking at a newbie I mean real
10 newbie when it comes to running AERMET and
11 AERMOD. I need someone to review this to see
12 if I did the right thing, but I was encouraged
13 to present it here. So just a real quick
14 summary, 32km horizontal, 25 mb vertical, 3h
15 (back to 1979) temporal resolution. Neither
16 satisfy the hourly temporal resolution
17 requirements of surface data for AERMOD.
18 However, preliminary runs show NARR may be
19 suitable as an upper air resource - need to
20 formalize comparative testing. Mechanical
21 process already tested Grib ==> Grid ==> Text File
22 ==> AERMET ==> AERMOD. GEMPAK tools convert grib to
23 grid AND list output in text format at any
24 lat/lon input by user (via interpolation).
25 That's all I have.

2 Tyler Fox: Thanks Peter. We have a host of
3 presentations made by AWMA and I'm going to turn
4 it over to George Schewe and let you manage this
5 assortment of presentations.

6 George Schewe: Thanks Tyler. Good
7 afternoon my name is George Schewe, an attorney
8 consultant. I am the current chair of the AWMA
9 so called AB3 Committee of meteorological and
10 modeling. I'm going to introduce the AB3 model
11 review group, enter comment areas, and offer
12 comments now that we did not fit into other
13 presentations. I think I'm the last remaining
14 staff member from 1978 and 1979 from the model
15 application group who are still at this meeting.
16 Even you Peter [ed. Eckhoff] were not there yet.
17 I was also the Project Officer of the
18 original contract with the HG Cramer company to
19 develop and release the Industrial Source [ed.
20 Complex (ISC)] model. I'm not sure if that is
21 good or bad but I'm the last one here. I'm very
22 happy to have seen the progression to AERMOD and
23 CALPUFF. I think Harry Cramer, rest his soul,
24 would be pleased too.
25 We at AB3 applaud the efforts and progress

2 like [ed. AERMOD] (inaudible) and we offer our
3 comments in the spirit of cooperation with the
4 goal of best model performance built on best
5 science. That's all I have written and wanted to
6 get those thoughts out. We have an illustrious
7 group here, myself and all of the people have
8 mentioned here. Some of us are going to speak
9 and some are not. The order of presentation is a
10 little bit different than on your schedule and we
11 will try and hold to 10 or 11 minutes per person
12 except for Ron Peterson.

13 The comment areas that we are going to
14 emphasize are building and down wash, and
15 meteorology inputs. I know you can read but
16 these are the areas we will be talking about this
17 afternoon. I'm going to make quick comments here
18 so it didn't fit in to any others and have been
19 addressed over these two days.

20 We're a little concerned about resources you
21 guys have to really keep the Clearinghouse and
22 getting it really rolling. We just wanted to
23 express that concern. We're also little
24 concerned about the time that is required to
25 review the comments and vetted nationwide will

2 take place to do that. So we just wanted to
3 express that concern and we want say that we're a
4 little displeased or unhappy but we'd like to
5 have some technical input from the affected
6 parties such as a consultant who is working for a
7 company making suggestions.

8 We are just asking for a little more
9 involvement there and would make your jobs a
10 little easier too to have us involved. Our
11 recommendation is for affected parties involved
12 in this process. Lastly to introduce the
13 increase use of ozone models and I think this was
14 brought up this morning. We are going to need
15 some guidance on this. That's all I have right
16 now. Next is Ron Peterson.

17 Ron Petersen: Thank you George. I'm Ron
18 Petersen from CPP and I'm going to be commenting
19 building and downwash issues. Basically the main
20 areas of comments will be problems with BPIP.
21 AERMOD/PRIME Problem for Short/Large Buildings.
22 AERMOD/PRIME Underestimation For Corner Vortex
23 and Terrain Wake Effects.
24 As Roger mentioned yesterday some of the
25 problems working with BPIP and working with

2 Prime, it's going to be hard to treat complex
3 geometries, may merge two structures into one
4 large structure, may pick the wrong dominant
5 building. May place the building at the wrong
6 location to get correct dispersion. Does not
7 account for lattice or cylindrical structures.
8 Ultimately, PRIME needs the building shape
9 and position that places stack in the correct
10 Snyder/Lawson Data Base Flow Region (i.e., Data
11 Base Used to Develop Downwash Algorithms). Other
12 considerations are building downwash algorithms
13 in AERMOD are designed for simple rectangular
14 buildings. Building downwash algorithms in
15 AERMOD only appropriate for certain building
16 aspect ratios. Use of wind tunnel testing to
17 determine Equivalent Building Dimensions (EBD)
18 has been used to help solve the problem.
19 EBD guidance provided in Tikvart July 1994
20 Memorandum - Thus, the analysis is viewed as a
21 source characterization study which generally has
22 been considered under the purview of the Regional
23 Offices. All testing to determine EBD under
24 neutral stratification, similar to assumptions in
25 Prime Algorithms. With AERMOD/PRIME building

2 location is also a variable and new methods may
3 be appropriate and has been used on recent
4 studies. You may have to improve this EBD
5 procedure and more guidance needed. Roger
6 mentioned that yesterday also.

7 Picking the right dominant structure here's
8 kind of an example a hypothetical example. You
9 have a power plant with a residential upwind
10 tower, a site drawing as you might call it. Now
11 BPIP picked this as an input so it picked the up
12 wind residential tower to go in to the model.
13 Maybe you need to pick something closer that's
14 going to be more influential. Because if you
15 take away the residential tower this is what BPIP
16 would put in which is really the power plant
17 structure itself. An EBD study was done in the
18 wind tunnel to determine the shape that would
19 really match the dispersion for that whole
20 complex and that's the shape of the building that
21 matches the dispersion. It's much closer to the
22 power plant structure.

23

24 An example of that was a Mirant Power
25 Station study. AERMOD with BPIP predicting high

2 concentrations at ground level and on a nearby
3 building. AERMOD with Equivalent Building
4 Dimensions gave lower concentrations and ones
5 that agreed better with field observations.
6 Here's a new situation that has come up for
7 Short/Large Buildings. The wake algorithms have
8 only been developed/tested for limited building
9 aspect ratios. Short/large industrial facilities
10 fall outside this range.
11 Here's a case kind of a foot print of a
12 large industrial facility and the red square on
13 that chart represents what the model BPIP gave
14 for the input. That's 17 meter high building, H
15 = 17, $L/H = 23$, $H/W = 0.02$ very short big
16 building. PRIME cavity and wake dimensions: $W =$
17 H and $L/H = 0 - 4$, $W = L$ and $H/W = 1 - 3$. It
18 doesn't really fit into what has been developed.
19 So what was done to develop building inputs
20 was to do a building equivalent study for this
21 facility. Actually looking at the flow
22 visualizations what happens is the plume
23 essentially the wake reattaches on the roof and
24 it's almost like a new (inaudible) level
25 basically. So the weight kind of falls off the

2 end of the building.

3 What does it really mean as far as the

4 concentrations predictions. We ran five typical

5 sources on this facility and that's the input for

6 the five sources. 1 year met data kind of a

7 standard AERMOD default mode. And we ran with

8 the BPIP inputs right here, match 24074 and when

9 you put the EBD in drops it to 44. So you can

10 see we took a closer look at what was going on.

11 We think the plume is being caught in the cavity

12 region and being concentrated heavily. Right

13 outside of the cavity region the concentrations

14 drop for a factor of 3 or 4. There something in

15 the cavity calculation that's going [ed. wrong

16 (?)] we think. We are still doing more research

17 what's happening there. These predictions are

18 just overall maximums right in the cavities. The

19 effect as you move further downwind becomes less.

20 Now in the corner vortex situation which in

21 the picture you can see that when the flow flows

22 over a building you get two vortex almost like a

23 tornado. Current building wake equations do not

24 account for corner vortex. Corner vortex causes

25 higher concentrations than currently predicted in

2 AERMOD.

3 To demonstrate that I have a couple of
4 slides here. I've got 3 different building
5 shapes. 39 meters high, 1 to 1 and 1 to 4. The
6 building rotated at 45 degrees so the angle the
7 diagonals of wind. Now I have some input and I
8 ran AERMOD for these 3 cases for 1 wind speed.
9 You can see the worst case was this building
10 here. That was given the highest concentrations.
11 The lower concentrations are these two here.
12 We actually tested these 3 shapes in the
13 wind tunnel so I will show you what
14 concentrations looked like in the wind tunnel.
15 These two shapes are right here the corner of
16 Vortex is this case right here so that the corner
17 of vortex is increasing the concentrations by
18 about of a factor of 2. This is all due to the
19 downward motion created by that mini tornado off
20 the corner.
21 Terrain wake effects; currently the GEP
22 stack height regulation defines nearby terrain
23 for the purpose of limiting stack heights. Past
24 EPA research shows that the effect of upwind
25 terrain can be significant. Currently this effect

2 is neglected. Recent study¹) showed
3 concentrations increased by a nearly a factor of
4 two when terrain wake effect is accounted for
5 using Equivalent Building Dimensions in AERMOD.
6 A method should be developed to determine when
7 upwind terrain wake effects should be considered.
8 We're saying that a method should be
9 developed to determine wind up wind terrain and
10 wake effects might be a controlling situation.
11 That's just the short of some of the past
12 summaries by Snyder and some of the group at the
13 EPA wind tunnel where they showed these terrain
14 application factors for different hill shapes.
15 In that application factor just really the
16 increase of concentration as if the hill weren't
17 there.
18 So basically kind of maybe I did it within
19 10 minutes George. Basically, continue your
20 research on ways to improve BPIP so input
21 dimensions match assumptions in algorithms. If
22 needed, update guidance on use of EBD in place of
23 BPIP for AERMOD/PRIME. Develop algorithms for
24 the corner vortex situation. Develop method for
25 accounting for upwind terrain wake effects. That

2 concludes my comments here. Thanks. Our next
3 presenter is Joe Scire.

4 Joe Scire: Okay. I have just a very short
5 presentation about the use of gridded
6 meteorological data on the air quality model which
7 we've talked about the last couple of days. Use
8 of existing tools, Two step evaluation process,
9 Evaluation variables, Sensitivity to prognostic
10 model options and Metric for evaluating success.
11 The existing tools I listened to the talks
12 of Roger and Herman about the efforts to produce
13 a converter for MM5 and one of the things was
14 that resources are limited. There are some
15 existing tools that might be helpful that could
16 be used for this type of purpose. There are
17 processes that are a part of the CALPUFF system
18 but are available for use and no restriction on
19 the use to concert MM5 data and WRF and
20 (inaudible) (inaudible) into a standard format.
21 What happens all these models will fit into this
22 format so any subsequent process needs only to
23 get to the (inaudible) files and not to the
24 specific data sets. It's one way of reducing the
25 effort in the post processing by having

2 everything to fit into a common format. I
3 mentioned this to Herman and thought I would
4 mention it while we're here.

5 The other point is the processor. Do not
6 change the wind data. It's exactly as it came
7 out of the prognostic model. Although they do
8 interpolate the scalars to the grid point
9 locations, if that isn't what is to be done then
10 you would have to change it or use another
11 approach. Another item in terms of
12 redundancy in existing tools is to mention there
13 is going to be software produced to interface the
14 output of MM5 converted to wind rose software.
15 That already exists. No restrictions on use.
16 Meteorological evaluation software is very close
17 to be released. If you don't have to reproduce
18 these items, there are more resources for doing
19 the other elements of this system.

20 The other thing is producing met data sets
21 for running AERMOD or CALPUFF. I think it seems
22 appropriate to have this as a 2 step process.
23 Evaluate gridded meteorological data performance
24 separately from dispersion model performance.
25 There will likely be a large sensitivity of

2 dispersion model to met database. Separately
3 determine best available dataset for each
4 parameter. Sensitivity of prognostic model
5 parameters. Use of NCEP products (e.g., RUC
6 fields) and they are free. Sensitivity of
7 dispersion model to different variables. Model
8 parameterizations and grid resolution.
9 Then separately use the data sets to
10 determine available observational datasets.
11 Evaluate all meteorological variables. Wind
12 speed, wind direction, Frequency of light wind
13 speeds, etc., vertical wind and temperature
14 structure, temperature & relative humidity,
15 micrometeorological parameters, solar radiation,
16 cloud cover, and ceiling height, precipitation
17 and allow for potential use of sub-hourly
18 prognostic data.
19 In planning ahead I would also recommend
20 that provision is reserved in the structure of
21 the data set to allow sub hourly prognostic data.
22 The reason why the MM5 simulations can't deal
23 with a 10 min intervals, 5 min intervals or 30
24 min intervals. There may be applications where
25 sub hourly data has its advantage.

2 Then how do we determine what's good enough?
3 I mean some of the results presented earlier that
4 the ratios were about a factor of 2 or 1.5 to 2
5 times higher results using prognostic data than
6 observation. That sounds high to me.
7 Consistency with results using observational
8 data? No under-prediction bias relative to
9 observed met results. Evaluate results under
10 many different types of conditions. Coastal,
11 flat, rolling terrain, mountainous, tracer or
12 other observational datasets. That's all I have.
13 My pleasure to introduce Bob Paine who will be
14 talking about PM.25.

15 Bob Paine: Okay. This has been brought up
16 in questions before and I'm going to talk more
17 about it. This is the newest and possibly least
18 understood criteria pollutant. My topics are:
19 quantifying PM2.5 emissions, current and proposed
20 regulatory requirements, challenges to PM2.5
21 implementation, emission inventories - direct and
22 precursors, modeling techniques - guidance,
23 background concentrations - how to treat, and
24 looking forward.
25 PM2.5 is unlike other gaseous criteria

2 pollutants, because PM_{2.5} generally comprises a
3 mixture of solid particles and liquid droplets,
4 some condensing from vapor - source/fuel-
5 specific. It is emitted directly from a source
6 ("primary" or "direct" emissions) and also formed
7 in the atmosphere ("secondary formation") from
8 precursor emissions of SO₂ and NO_x. PM_{2.5} contains
9 filterable and condensable components that may be
10 organic or inorganic.

11 This slide comes from a VISTAS BART
12 protocol, and basically, we have all the
13 condensable side which is basically small enough
14 to be 2.5 µg or less in size. Looking at the
15 condensable side of this chart, the inorganic
16 PM_{2.5} includes H₂SO₄ that adds significant
17 measurement and quantification problems. The
18 inorganic fraction could have some SO₄ components
19 and then you have the organic. Looking at the
20 filterable side, the EC is generally 2.5 µg or
21 less and then the rest of this is shaded out --
22 the coarse particles which are higher than 2.5 µg
23 are shaded out. Those are the only components of
24 PM₁₀ that would be excluded from PM 2.5, so it's
25 a fairly complicated structure. This is needed

2 for visibility modeling because each of these
3 components has a different extinction efficiency
4 in scattering.

5 The measurement techniques have an
6 interesting history. Historically, only
7 filterable PM was measured and quantified. Only
8 filterable PM has traditionally been measured,
9 quantified, and modeled based on EPA Reference
10 Method 5. Existing reference methods for
11 condensable PM have known biases and work is
12 underway to propose more reliable methods. EPA
13 is well aware of limitations to existing PM2.5
14 measurement methods - sulfates can be
15 significantly overestimated. Uncertain emission
16 factors exist for condensable PM - this can be a
17 high percentage of PM2.5.

18 So with that back drop of course we've been
19 11 years with the new PM2.5 pollutant. In 1997,
20 EPA had a PM10 surrogate policies for compliance
21 modeling that are still in effect, Best Available
22 Retrofit Technology implementation guidance, PM2.5
23 NSR implementation rule, PM2.5 PSD SILs, SMCs, and
24 increments (proposed 9/21/07; final rule
25 pending), and the PSD increment modeling

2 procedures (proposed 6/6/07; final rule pending).
3 So let's talk about modeling Primary vs.
4 Secondary PM2.5. AERMOD considers primary PM2.5
5 only. Primary PM2.5 provides highest near-field
6 impacts. Secondary PM2.5 is important only at
7 large distances, and would probably not
8 contribute at location of highest primary impact.
9 Secondary PM2.5 could be modeled with CALPUFF.
10 Large SO2 and NOx emission reductions may lead to
11 PM2.5 increment expansion - does this require an
12 unbiased model to take modeling credit? Are we
13 ready to compile cumulative emission inventories
14 for 3 pollutants?
15 I'd like to address the issues with CALPUFF
16 over predicting nitrate. If you use an
17 inappropriate ammonia background like 10 ppb, you
18 can get the results that over predicts by a
19 factor of 3 verses if you use an appropriate
20 background of the West at 0.2 ppb or even lower
21 (and measured at 0.1 ppb in Wyoming). You will
22 find that CALPUFF will be mostly unbiased and I
23 think that one is one way to eliminate this
24 problem with the perceived nitrate over
25 predictions of CALPUFF.

2 PM2.5 Regulations and Guidance - Unresolved
3 Issues. Are we okay to ignore secondary PM2.5
4 modeling for short-range applications? Include
5 secondary PM2.5 modeling for long-range
6 applications (e.g., Class I increment)? How to
7 credit precursor emission reductions? What is
8 the form of the 24-hour PM2.5 increment standard?
9 To be consistent with the NAAQS, the 24-hour
10 increment should be the highest, 8th - highest.
11 CALPUFF and AERMOD can provide that statistic.
12 PM 2.5 emissions analysis.
13 Emissions factors are available for certain
14 source types from EPA's AP-42, SPECIATE, and FIRE
15 databases. Certain industry groups have also
16 reviewed stack test data to develop emission
17 factors. EPA demonstrates possible approach in
18 its Interim Regulatory Impact Analysis (RIA) for
19 the Proposed National Ambient Air Quality
20 Standards for Particulate Matter, Appendix B -
21 Local Scale Analysis (2005). Any of these
22 factors are based on stack test methods known to
23 be unreliable and have biases.
24
25 Example Modeling Challenge: Compute Total

2 PM2.5 NAAQS Impact: Background + Source Impact.
3 Conservative approach: add peak percentile
4 source impact to peak percentile background,
5 unpaired in time. It is unlikely that these two
6 components happen at the same time. A refined
7 approach adds concurrent daily background and
8 source impact concentrations. If daily
9 background concentrations are not available, fill
10 in missing days from higher of two bounding
11 values

12 To summarize: PM2.5 modeling in a regulatory
13 context poses challenges not previously
14 experienced for other criteria pollutants.
15 Emissions measurement and modeling techniques
16 need to be resolved. Background concentrations
17 can be much higher than modeled concentrations.
18 Due to stringent standards, there is more need
19 for refined modeling approaches. Collaboration
20 is necessary to implement reasonable PM2.5 impact
21 assessment requirements.

22 In looking ahead, unique and important
23 issues remain unresolved for PM2.5 - little EPA
24 guidance, PSD increments and modeling procedures.
25 There is a role for CALPUFF (or other models) for

2 secondary PM2.5 in long-range applications for
3 both increases and decreases in SO2 and NOx .
4 Application of local/regional background levels
5 in a regulatory context. That's it. Let's see
6 who's our next one? George is next and will talk
7 about AERMOD.

8 George Schewe: Good afternoon. I'm George
9 Schewe and I'm with Trinity Consultants. Just a
10 few comments on AERMOD. First of all we like
11 AERMOD. It does things ISC3 could never do. I
12 do want to mention a few issues.
13 The Low wind speed issues. Modeling of
14 roadways for NO2 and PM. Problems with modeling
15 small urban areas. Need for post-processor to
16 combine multiple AERMOD runs. Deposition
17 support. Adjustments for international
18 applications.
19 Many investigators report that the worst-case
20 AERMOD impacts occur for very low wind speeds,
21 especially for low-level sources. AERMOD has
22 limited evaluation for these conditions.
23 ASOS use of sonic anemometer data and averaging
24 of sub-hourly ASOS data will likely create more
25 hours with very low wind speeds. AERMOD needs

2 supplemental evaluation to assess the accuracy of
3 these "design concentration" predictions.

4 Roadways are characterized by enhanced
5 turbulence and low wind speeds generated by
6 traffic itself. Review of data from tracer
7 studies and adjustments to AERMOD modeling
8 procedures for roadway is an important issue for
9 EPA to pursue. Problems - few long-term monitors
10 near roadways & quantification of emissions,
11 especially PM, is questionable

12 Nocturnal urban mixing height (Ziu) is a
13 function of population. For small populations,
14 Ziu can be quite low (e.g., about 200 m for a
15 population of 50,000). This has been found to
16 result in plume capping at night for all plumes,
17 no matter how buoyant, leading to counter-
18 intuitive results. EPA should investigate this
19 issue and correct the problem.

20 AERMOD runs can be very long. Runs cannot
21 be done separately and combined in postprocessor,
22 as is done with CALPUFF. EPA should develop a
23 system like that of the CALPUFF system, or
24 translate AERMOD conc. files to CALPUFF-like
25 files. TRC may have a draft code that can do

2 this.

3 Dry gas deposition is not included in the
4 implementation guides but in the 2004 addendum -
5 makes for some confusion. Recommend that AERMOD
6 guidance provide further implementation guidance
7 to address use of dry gas deposition factors and
8 the use of ANL physical parameters for common
9 pollutants (Wesely, et.al, 2002).

10 International applications have challenges
11 due to 12Z sounding times not at sunrise. Bob
12 Paine provided EPA (in October 2007) with several
13 possible enhancements. Swapping of 12Z and 00Z
14 sounding time labels. Adjustment of lower part
15 of sounding to reflect morning minimum sfc temp.
16 Enhanced debugging output. EPA should make these
17 enhancements available, at least in beta test
18 form.

19 Issues with AERSURFACE implementation.

20 Sensitivity of modeling to surface
21 characteristics. Land use determination very
22 localized - within 1 km. Greater chance of
23 mismatch in surface type between met tower and
24 source. For tall stack, buoyant releases, 1 km
25 is too short of a fetch distance. Low roughness

2 near towers increases likelihood of low u^* and low
3 wind speed issues. Moisture assigned only on an
4 annual basis.

5 Brode et al. have written paper for A&WMA
6 2008 Annual Meeting on sensitivity modeling. We
7 recommend use of AERSCREEN with different runs
8 for met and application site surface
9 characteristics. If peak predictions are
10 reasonably similar (say, within 10%), then assume
11 that differences in site surface characteristics
12 have a minor effect.

13 A couple of comments on AERMET is that
14 states advocating use of more recent data sets.
15 Many more calms in recent data sets - if
16 considered missing as suggested in GAQM, does not
17 meet 90% capture criteria. If many calms, does
18 CALMS preprocessor work properly? Conc
19 artificially too low? Guidance needed on use of
20 recent met data. If my interpretation of the
21 Guideline on Air Quality Models is right, a calm
22 is considered a missing data? Is that right?

23 Roger Brode: Technically, if a site
24 specific is considered a valid observation if the
25 wind speed threshold is treated the same way as a

2 missing calm.

3 George Schewe: Okay. That's basically all

4 of my comments on AERMOD today. We're commenting

5 off the off the shelf of AERMOD and not talking

6 all of the other things that need talking about.

7 Our next speaker is Gale Hofffnagle and he will

8 be talking about CALPUFF and the comments of the

9 AB3 Committee on CALPUFF. Let me see if I can

10 find it for you. I can't open this file.

11 Comments from participants: The issue is you

12 should have a new version of PP. Do you have a

13 computer here Gale? No I don't. Talk among

14 yourselves.

15 Gale Hofffnagle: These are the comments

16 about CALPUFF and talking about CALPUFF filling

17 your needs. About EPA concerns about CALPUFF and

18 EPA controlling the model developing coding and

19 using less than 50 km and use it greater 200 -

20 300 km. Many applications in air quality

21 modeling for the guideline purposes require air

22 quality impact from (inaudible) stacks from long

23 distance.

24 We need a 3-D Lagrangian model for

25 (inadible) will not work well for individual

2 sources yet. We don't believe that they sub grid
3 modules were single sources are up to snuff or
4 demonstrated. CALPUFF is a model with community
5 usage experience. We know how to run it and have
6 been running it for years. It has better
7 handling, low wind speed stagnation, coastal and
8 air issues. Complex terrain and slow reversal
9 and it has better handling of deposition.

10 In general what AWMA is saying is that we
11 need to have better models. We've been saying
12 that consistently for the last 9 conferences.

13 EPA concerns about CALPUFF are relatively
14 unfounded. EPA's concern about near field
15 evaluation and CALPUFF we are going to show in
16 our comments some 8 studies have been done and
17 demonstrate CALPUFF in near field areas.

18 Substantial resources from EPA will be needed to
19 evaluate and approve the upgrades.

20 The chemistry is fine for NOx , SO2 and PM
21 and we need to do some other things for Ozone .

22 EPA doesn't have direct control of CALPUFF and
23 there are some advantages to that. EPA does have
24 control of the regulatory code. The developer
25 has multiple funding sources and the resources to

2 provide for advancement in this model. The
3 developer will continue to have these resources.
4 The developer has training classes for CALPUFF.
5 AWMA supports an independent work group for
6 advancing CALPUFF and will work to that end. EPA
7 doesn't have direct control of the CALPUFF code
8 and there are some disadvantages. EPA has not
9 been able to supply any funding to provide
10 updates that EPA wants, but the developer is
11 willing to do this. As a result EPA says that
12 CALPUFF lags behind in the code releases. The
13 last users guide was released 2006. We have a
14 new users guide for Version 6 and all we need is
15 the EPA approval for the code. There are code
16 changes made without EPA oversight and funding
17 that requires EPA review. What is needed is for
18 EPA to review the code changes that are
19 available. We urge stronger coordination between
20 EPA and TRC to keep the string going of improving
21 the model.
22 CALPUFF at less than 50 km. Why is it 50
23 km? Bruce mentioned this as well and it should
24 be based on the transport time. 50 km per hour
25 is a long hour and a lot of wind speeds in most

2 applications. I've been trying to find out where
3 the 50 km came from. I'm sure Joe Tikvart said
4 it one time.

5 Requiring equivalency demonstrations of less
6 than 50 km is too restrictive. We need a better
7 method to define precisely when complex winds
8 occur and require PUFF modeling. We'll be
9 referring to paper I gave 3 years ago on complex
10 modeling and a better definition of complex
11 winds. But I think the answer is in the
12 definition of complex winds.

13 Adding bells and whistles to AERMOD will not
14 make it a Lagrangian model. Another issue is
15 that CALPUFF comparison to LRT studies have been
16 shown relative accuracy out to 200 km. FLAG went
17 beyond the 200 km to say 300 km. So that's what
18 we're using now. Many states are using CALPUFF
19 results and CAMx out to 600 km or more. There is
20 no justification for going beyond 200 km in our
21 opinion. There should be defying outer limit for
22 more LRT field studies to be conducted.

23 The last thing is an easier comment to make.
24 We're going to have an A&WMA specialty conference
25 one year from this month. Next October we can

2 come back to RTP and the Call for Papers will be
3 out soon. I look forward on the www.awma.org web
4 site. And for those of you are interested, AWMA
5 will be conducting a modeling conference in
6 Toronto this Spring on Canadian modeling issues.
7 There will be 2 modeling conferences next year.
8 Is that the same date as the RSL Workshop? We'll
9 talk about that. That concludes the AWMA
10 comments.

11 Tyler Fox: The next scheduled speaker is

12 Penny Shamblin

13 Penny Shamblin: These will be very short.

14 I have some sort of creeping crude that I cannot
15 get over. My name is Penny Shamblin and I'm
16 making this statement on behalf of the Utility
17 Air Regulatory Group (UARG). UARG is an ad hoc
18 group of public and private electric utility
19 companies and their trade associations. UARG
20 participates on behalf of its members
21 collectively and roll makings and related
22 proceedings under the federal Clean Air Act.
23 We appreciate the opportunity to appear here
24 today and make these comments. UARG has
25 participated in all of the EPA modeling

2 conferences to date. We have participated in the
3 rulemakings associated with promulgation and
4 revisions of Appendix W Guideline. The Modeling
5 Guideline is used for several purposes, including
6 to determine if new or modified sources that can
7 built and operated without causing or
8 contributing to a violation of the ambient
9 standards or the PSD increments. What is in the
10 guideline and how EPA interprets it and applies
11 it has a direct and important impact on UARG
12 members and everyone else who is trying to permit
13 facilities.

14 EPA's September 25th federal registry notice
15 announcing the time and place of the conference
16 did not provide information on specific changes
17 that EPA is planning to make to the Modeling
18 Guidelines to Appendix W. So our comments are
19 preliminary and may be supplemented with more
20 detailed comments during the 30 day public
21 participation period.

22 The first issue that UARG would like to
23 raise today arises directly from the fact that
24 the September 25 Federal Register notice provides
25 very little information on what, if any, changes

2 EPA is planning. If EPA wants meaningful
3 comments from the public concerning key questions
4 on the use of the air quality models, then we
5 need more information as to what changes will be
6 made. It's not sufficient for EPA to place a
7 draft meeting agenda on the agency web site such
8 as SCRAM nor is it sufficient to publish the
9 conference announcement two weeks before the
10 meeting. Rather, EPA must publish notice of
11 these proceedings in the Federal Register at
12 least 30 days ahead of time. And also provide
13 the public with background information of all
14 significant issues on which it is seeking
15 comment.

16 Instead of following the standard
17 notice procedures and instead of engaging in
18 notice-and-comment of rulemaking to change any
19 outdated portion of the modeling guideline, EPA
20 is moving toward using informal guidance to try
21 and change the status quo. From discussions
22 today, I understand guidance does not come
23 lightly out of EPA. There are instances where it
24 appears to do.

25 Preceding this conference, EPA posted

2 on its web site several guidance memoranda that
3 purport to make significant changes to the
4 procedures that affected parties have been using
5 to get approval for the use of non EPA preferred
6 models. EPA's new procedures will uniformly make
7 it difficult to use anything other than the
8 preferred models or EPA developed models.
9 For example, the August 13 guidance
10 memorandum about the regulatory status of CALPUFF
11 for near field applications states that the use
12 of CALPUFF must go through a more extensive
13 review process than historically required if you
14 want to use it for near field applications.
15 In particular, without conducting any notice
16 of comment, EPA has concluded in its guidance
17 document that a modeling system like CALPUFF,
18 will be subject to a higher burden of proof
19 before its use will be approved in individual
20 cases. Then, even if the permit-issuing agency
21 permit applicants are able to do what is
22 necessary to meet the more onerous review
23 standards, the August 13th guidance document
24 throws another obstacle in the way; mainly the
25 Model Clearinghouse process. A drill that is

2 likely to add several months or longer to the
3 overall new permit process which I can attest
4 already takes 2 or 3 years. One more layer is
5 not what we would like.

6 UARG believes that the EPA's recently posted
7 guidance memoranda have placed unfair burdens on
8 parties trying to use CALPUFF in situations in
9 which that model has shown to work and function
10 well.

11 Appendix W allows the choice of modeling
12 techniques in new source permitting situations to
13 be made on a case by case basis taking into
14 account the unique characteristics of each case.
15 The recent guidance document, (I apologize if I
16 get rid of the cough drop I won't make it through
17 this), removes the Guideline's promise of
18 reasonableness and flexibility and imposes what
19 are likely to be insurmountable obstacles to the
20 use of any models other than EPA preferred or EPA
21 developed models even if the alternative model
22 would make more sense in that situation.

23 UARG believes that it is inappropriate for
24 EPA to use informal guidance documents to make
25 such major changes to the rules and procedures

2 that state permitting agencies and permit
3 applicants have been using for years and have
4 worked well for years.

5 The second general issue that URAG would
6 like to raise today concerns the maintenance of
7 the models and the need for more timely approval
8 of changes to fix bugs and problems, both EPA
9 approved models, preferred models and
10 alternative models. As time passes and as input
11 to such models change, it's almost inevitable
12 that model users will occasionally encounter and
13 identify problems and bugs in the model.

14 For years EPA has done an admirable job in
15 responding to such identified problems. In
16 particular EPA has made timely fixes to their
17 models. Also when developers of alternative
18 models have reported problems and provided well
19 founded fixes, EPA has a history of approving and
20 promptly approving those fixes. Unfortunately
21 during the past 2 years, URAG has seen delay in
22 EPA review of implementation fixes for identified
23 problems for all preferred models.

24 In particular, URAG has seen delays for over
25 a year in EPA's consideration and approval of

2 fixes that users have encountered in running
3 developmental models and the ones that Bob Paine
4 has identified in AERMOD. URAG encourages EPA to
5 return to its earlier approach of giving priority
6 to fixing the problems.

7 The final issue is another one that Bob
8 Paine spoke of dealing with PM2.5 modeling
9 requirements for both development of SIPs and for
10 the evaluation of new source permitting. PM2.5
11 ambient standards have been on the books for over
12 a decade but we still have very little guidance
13 and no model that does a credible job of
14 predicting the air quality impacts of emissions
15 for PM2.5 and PM2.5 precursors.

16 For example, even though most PM2.5
17 nonattainment areas are urban areas where,
18 organics are a major component of PM2.5, existing
19 models do a poor job of addressing the organic
20 component. Also, for single source new
21 permitting there's no clear guidance on the
22 modeling tools to use for the permit application.
23 Until the new recent rule, this was not much of
24 an issue because most people were using PM 10 as
25 a surrogate. But now with the EPA delegated

2 states, you're required to do the PM 2.5 NAAQS
3 modeling and we still have no guidance on how to
4 do that.

5 So we urge EPA to take the time and
6 resources now to develop credible tools for PM2.5
7 SIP and pre-construction permitting. That's it.

8 Thank you.

9 Tyler Fox: Alright next is George Delic.

10 George Delic: Thank you very much. Now for
11 something completely different. My Ph.D was in
12 nuclear physics which was in another life. Since
13 coming to the US, I have focused on high
14 performance computing and started with air
15 quality modeling when I was a contractor in the
16 Park for 10 years. That's where I got to know
17 these models. 15 years with CMAQ and 10 years
18 with AERMOD. I'm now a private consultant.
19 Efficiency for me is very important and that is
20 the focus of this discussion.

21 Here's the layout of what we are going to
22 talk about:

23 1.Introduction

24 2.Identifying the problem

25 3.Computer hardware

2 4.Examples of AQM performance

3 5.U.S. EPA AQM models: lessons learned

4 6.Can software and hardware help?

5 7.Next steps

6 8.Outcomes

7 9.Disclaimer

8 Regulatory Air Quality Models (AQM). They
9 are developed by the U.S. EPA (and contractors).

10 Their use is mandatory for SIPs. They require
11 long model runs. They have a dedicated user
12 community forced to invest in support
13 infrastructure: software, hardware, HR staff,
14 hardware and programming environment.

15 Revolutionary developments are here now! Other
16 modeling disciplines report cost benefit
17 enhancements of 50 to 100 times more

18 Performance: HiPERiSM's investigations with
19 such models show: Many inefficiencies with
20 mediocre to poor performance, mismatch to current
21 commodity-off-the-shelf (COTS) hardware, and
22 worse performance on next generation computers.

23 The situation for AQM's: the AQM community needs
24 help and leadership. Does the U.S. EPA have a
25 plan to face the challenges for change in COTS

2 hardware?

3 What is the problem? Movement of data is
4 now considered to be the single most expensive
5 operation on commodity platforms. Don't modern
6 architectures solve the problem?

7 They do this by inserting complex memory
8 hierarchies, but this challenges an application's
9 ability to extract optimal performance from
10 commodity solutions.

11 What can be done to fix the problem? Full
12 understanding of the memory's architecture's
13 impact on application performance and then fix
14 the problem at the source. Multi-core processors
15 exacerbate the problem because concurrently
16 executing threads compete for memory bandwidth
17 the effective cache size per thread is
18 diminished.

19 Current generation: multi-core: 2-4 cores
20 per CPU. Cache Level 1, 2, or 3. CPUs access
21 memory via bus. Next generation: many-core: 8 -
22 100's cores per CPU. Level 1 for each core and
23 Level 2 shared across cores. Cores access subset
24 of L2 and memory via bus. The GPGPU revolution:
25 Multi-processing graphics hardware with on

2 outboard processors and programming tools for
3 hundreds of parallel threads.

4 Memory and cache: The memory hierarchy uses
5 cache to hide the negative effects of memory
6 latency. Cache space is wasted when data resides
7 there but is unused. Unused data in cache
8 consumes precious bandwidth when it was loaded
9 from memory.

10 Examples of AQM performance: SOM an Ocean
11 Model: example (a). Used as a reference. CMAQ:
12 examples (b) and (c). Rosenbrock solver (ROS3).
13 Euler Backward solver (EBI). AERMOD: example
14 (d). All the above models used these HiPERiSM
15 resources: A 64-bit (x86_64) Linux platform with
16 a 16KB L1 data cache and 1MB L2 cache with
17 compilers typically used by the U.S. EPA (using
18 EPA code for CMAQ and AERMOD). SlowSpotter™
19 software from Acumem®, Inc. to collect
20 performance data (for details see HiPERiSM's Web
21 URL).

22 Example (a) SOM Ocean Model: Excellent
23 cache utilization: GREEN on the right hand-side
24 bars shows no wasted cache space - i.e. all data
25 loaded from memory is used by the CPU. (Single

2 CPU with one core and two cache levels).

3 Example (b) CMAQ ROS3 Solver: Mediocre

4 cache utilization: RED on the right hand-side

5 bars shows wasted cache space - i.e. data loaded

6 from memory but never used. (Single CPU with one

7 core and two cache levels).

8 Example (c) CMAQ EBI Solver: Comparing CMAQ

9 solvers* (EBI versus ROS3): EBI: 3x more wasted

10 cache space. EBI: 4x worse memory prefetching

11 performance. Linux platform with a 16KB L1 data

12 cache and 1MB L2 cache for the mid-morning hours

13 of a summer episode (14 August, 2006).

14 Example (d) AERMOD. Poor cache utilization:

15 RED on the right hand-side bars shows wasted

16 cache space - i.e. data loaded from memory but

17 never used. (Single CPU with one core and two

18 cache levels).

19 Lessons learned: Memory footprint of AQM's:

20 Inherent in the current state of models:

21 inefficient use of COTS hardware, lost

22 performance opportunities. Critical bottle-necks

23 in memory access: cache utilization is wasteful

24 and cost of latency leads to CPU stalls

25 Can software or hardware help? Compilers

2 will not solve the performance bottle-necks
3 because: The code lacks the right structure.
4 Requires too much disorganized data movement.
5 Next generation hardware requires data
6 parallelism: Needs to be expressed in the code
7 by the developer and it cannot be discovered by
8 compilers.
9 Next Steps: U.S. EPA needs to show
10 leadership by: Soliciting input from the
11 community, developing an action plan to meet the
12 challenge, provide resources for change.
13 Consequences of inaction include: lowered
14 performance, and escalating support
15 infrastructure costs.
16 Outcomes: GREEN COMPUTING ! More
17 efficient use of COTS computers. Lower cost of
18 AQM support infrastructure. Higher throughput =
19 fewer resources required. Cost benefit analysis
20 suggests: Modification of AQM's will yield.
21 Boost in throughput by orders of magnitude and
22 lower TCO (total cost of ownership).
23 None of the work reported here has been
24 sponsored or funded by the U.S. EPA. Further
25 information is available at:

2 <http://www.hiperism.com> and

3 <http://www.hiclas1.com>.

4 I recommend the transition to the modern
5 generation of compiler technology for AERMOD
6 development at the EPA and also the decision to
7 go with the double precision release of AERMOD.

8 This will remove certain problems that have
9 worried us. That's it.

10 Tyler Fox: The last presentation is from

11 Mark Garrison from ERM.

12 Mark Garrison: Thank you for the

13 opportunity to say a few words this afternoon and
14 given the hour there will be very few words
15 spoken. I don't have a presentation but was
16 inspired to make these comments by the
17 presentations yesterday. For the record, I am
18 Mark Garrison from ERM. We service the Air
19 Integrator for the Maryland Department of Natural
20 Resources Power Plant Research Program. In this
21 role we are responsible for providing technical
22 support in the review and evaluation of air
23 quality impacts from power plants.

24 The analyses we are involved with range from
25 local scale analysis using AERMOD to (inaudible)

2 using CALPUFF to (inaudible) with CALPUFF. We've
3 done some quasi studies with CALPUFF looking at
4 visibility impacts, nitrate deposition impacts
5 and Mercury impacts. For the past couple of
6 years, we have been experimenting with different
7 ways for extracting data from MM5 and WRF file
8 outputs and processed through CALMET to develop
9 inputs for AERMOD.

10 We have kind of settled into a preferred
11 approach which is to extract wind profiles from
12 prognostic models and treat them as pseudo
13 observations and combine them with more broadly
14 representative cloud cover and temperatures from
15 National Weather Service Stations. Then
16 essentially allowing AERSURFACE and AERMET to do
17 their thing in terms of customizing the land use
18 to (inaudible) and create inputs in to AERMOD.

19 Now we have done some evaluations with this
20 approach both in (inaudible) in terms of
21 comparing the prognostic model derived wind
22 profiles with data collected on met towers. And
23 also an intent to do an sensitivity studies as to
24 what kind of concentration are the result of the
25 various approaches. And while we are somewhat

2 limited, the evaluations I think anyway are
3 pretty promising in terms of coming up with an
4 approach, at least in my mind, that allows AERMOD
5 to do its thing for customizing meteorological
6 data on a site specific basis without relying on
7 land use that essentially represents airport
8 runways.

9 That's about it. I think we are going to
10 provide written comments and add some summaries
11 of our evaluations. Hopefully it will be of some
12 interest. Thank you.

13 Tyler Fox: It is 4:30. I appreciate your
14 time and all your input and we will be getting
15 the transcript done and submitting that. Also,
16 just as we have in the past, we will be compiling
17 some of the major comments putting them together
18 and then providing a summary or response to
19 comments from the agency. As soon as we know
20 what the timing will be we'll send out a memo to
21 everybody and let them know. Everybody have a
22 safe trip back to your homes.

23

24

25

2

3

4	1.	AERMET	21.	clearing house
5	2.	AERMOD	22.	complex
6	3.	AERSCREEN	23.	concentration
7	4.	AERSURFACE	24.	concentrations
8	5.	air	25.	convective
9	6.	algorithms	26.	data
10	7.	appendix	27.	database
11	8.	ASOS	28.	databases
12	9.	atmosphere	29.	datum
13	10.	BART	30.	default
14	11.	Birmingham	31.	DEM
15	12.	boundary	32.	dispersion
16	13.	calm	33.	domain
17	14.	CALMET	34.	downwash
18	15.	calms	35.	downwind
19	16.	CALPUFF	36.	EPA
20	17.	cell	37.	ETA
21	18.	cells	38.	Federal
22	19.	chemistry	39.	fence line
23	20.	Class I	40.	file
24				
25				

2

KEYWORD INDEX

3

-
- | | | |
|----|--------------------------|----------------------|
| 4 | 41. files | 61. meteorological |
| 5 | 42. FLEXPART | 62. mixing |
| 6 | 43. gridded | 63. MM5 |
| 7 | 44. group | 64. model |
| 8 | 45. groups | 65. model evaluation |
| 9 | 46. guidance | 66. modeling |
| 10 | 47. guide | 67. monitor |
| 11 | 48. guideline | 68. monitors |
| 12 | 49. guidelines | 69. near-field |
| 13 | 50. humidity | 70. NEPA |
| 14 | 51. implement | 71. non regulatory |
| 15 | 52. implementation | 72. NOAA |
| 16 | 53. ISC | 73. NSR |
| 17 | 54. IWAQM | 74. OAQPS |
| 18 | 55. Lagrangian | 75. observation |
| 19 | 56. layer | 76. observations |
| 20 | 57. layers | 77. observed |
| 21 | 58. long range transport | 78. ozone |
| 22 | 59. mesoscale | 79. parameter |
| 23 | 60. met | 80. parameters |

24

25

2

KEYWORD INDEX

3

4	81. particle	101. RUC
5	82. PBL	102. rule
6	83. Phase 2	103. run
7	84. photochemical	104. rural
8	85. PiG	105. scale
9	86. plume	106. SCRAM
10	87. PRIME	107. screening
11	88. processor	108. sensitivity
12	89. processors	109. service
13	90. profile	110. site
14	91. promulgation	111. source
15	92. protocol	112. speed
16	93. protocols	113. stack
17	94. PSD	114. stacks
18	95. puff	115. statistical
19	96. ratio	116. steady state
20	97. ratios	117. surface
21	98. receptor	118. surrogate
22	99. regulatory	119. temperature
23	100. roughness	120. terrain

24

25

2

KEYWORD INDEX

3

4	121.	toxics	141.
5	122.	tracer	142.
6	123.	turbulence	143.
7	124.	urban	144.
8	125.	variability	145.
9	126.	weather	146.
10	127.	wind	147.
11	128.	wind speed	148.
12	129.	wind speeds	149.
13	130.	winds	150.
14	131.	work group	151.

15

16

17

18

19

20

21

22

23

24

25

2

3 Page Ref No. Keyword = "AERMET"

4 _____

5

6 166 15 Issues on the AERMET output. AERMET Stage 3
 7 166 17 the user knows during the AERMET processing steps
 8 180 25 meteorological input in AERMOD and AERMET.
 9 182 17 much has been done. Google on AERMET and
 10 184 16 AERMET and I couldn't repeat. I didn't have
 11 185 10 newbie when it comes to running AERMET and
 12 185 22 ==> AERMET ==> AERMOD. GEMPAK tools convert grib to
 13 207 13 A couple of comments on AERMET is that
 14 226 16 essentially allowing AERSURFACE and AERMET to do

15

16 Page Ref No. Keyword = "AERMOD"

17 _____

18

19 16 4 AERMOD.
 20 18 5 and AERMOD options) over P-G? As Tyler
 21 25 4 CALPUFF turbulence and the AERMOD turbulence in
 22 62 14 versions of AERMOD. I'm going to talk about the
 23 62 15 AERMOD evaluation review, evaluation tools, and
 24 63 4 provided that database to EPA for AERMOD. And we
 25 64 7 So in the AERMOD evaluation, we have the
 26 64 8 question: how well does AERMOD predict peak
 27 64 10 with air quality (AQ) standards? Is AERMOD's
 28 72 9 appropriate in the way we use AERMOD under
 29 72 20 the work here in terms of AERMOD evaluation and
 30 73 23 series of arcs. This is a Q-Q Plot of AERMOD
 31 74 11 in AERMOD performance evaluation. Again this is
 32 74 16 These are applications of AERMOD that have come
 33 74 18 has run AERMOD and getting results they don't
 34 75 9 SIP. Basically AERMOD was run initially with
 35 76 5 concentration of AERMOD across the gridded
 36 76 8 had receptors in AERMOD that were either very
 37 80 23 Example is AERMOD being applied to support
 38 81 6 comparisons showed AERMOD concentrations
 39 82 12 concentration from AERMOD. Again most of this is
 40 82 18 some concern whether AERMOD could be used in this
 41 83 10 These are AERMOD concentrations using the SEARCH
 42 87 12 find out how well AERMOD does or doesn't do with
 43 88 20 the AERMOD users guide in terms of defining
 44 94 23 AERMOD), Gaussian Puff Models (INPUFF, CALPUFF,
 45 159 17 models especially on CALPUFF and AERMOD. As you
 46 159 19 CALPUFF and AERMOD at this time. We don't think
 47 160 11 time varying dispersion models (e.g., AERMOD,
 48 166 21 information is not provided until AERMOD is run.
 49 167 4 for both AERMOD and CALPUFF.
 50 167 16 principles (e.g., AERMOD, CALPUFF, CMAQ, CAMx

2

3 Page Ref No. Keyword = "aermod"

4

5

6 180 25 meteorological input in AERMOD and AERMET.
7 181 4 meteorological input into AERMOD. So that's
8 182 8 Why the interest for AERMOD?
9 183 9 for input in to AERMOD. And so being kind of a
10 184 15 versions of AERMOD that couldn't quite run in
11 185 11 AERMOD. I need someone to review this to see
12 185 17 requirements of surface data for AERMOD.
13 185 22 ==> AERMET ==> AERMOD. GEMPAK tools convert grib to
14 186 22 happy to have seen the progression to AERMOD and
15 187 2 like [ed. AERMOD] (inaudible) and we offer our
16 188 21 AERMOD/PRIME Problem for Short/Large Buildings.
17 188 22 AERMOD/PRIME Underestimation For Corner Vortex
18 189 13 in AERMOD are designed for simple rectangular
19 189 15 AERMOD only appropriate for certain building
20 189 25 Prime Algorithms. With AERMOD/PRIME building
21 190 25 Station study. AERMOD with BPIP predicting high
22 191 3 building. AERMOD with Equivalent Building
23 192 7 standard AERMOD default mode. And we ran with
24 193 2 AERMOD.
25 193 8 ran AERMOD for these 3 cases for 1 wind speed.
26 194 5 using Equivalent Building Dimensions in AERMOD.
27 194 23 BPIP for AERMOD/PRIME. Develop algorithms for
28 196 21 for running AERMOD or CALPUFF. I think it seems
29 201 4 Secondary PM2.5. AERMOD considers primary PM2.5
30 202 11 CALPUFF and AERMOD can provide that statistic.
31 204 7 about AERMOD.
32 204 10 few comments on AERMOD. First of all we like
33 204 11 AERMOD. It does things ISC3 could never do. I
34 204 16 combine multiple AERMOD runs. Deposition
35 204 20 AERMOD impacts occur for very low wind speeds,
36 204 21 especially for low-level sources. AERMOD has
37 204 25 hours with very low wind speeds. AERMOD needs
38 205 7 studies and adjustments to AERMOD modeling
39 205 20 AERMOD runs can be very long. Runs cannot
40 205 24 translate AERMOD conc. files to CALPUFF-like
41 206 5 makes for some confusion. Recommend that AERMOD
42 208 4 of my comments on AERMOD today. We're commenting
43 208 5 off the off the shelf of AERMOD and not talking
44 211 13 Adding bells and whistles to AERMOD will not
45 218 4 has identified in AERMOD. URAG encourages EPA to
46 219 18 with AERMOD. I'm now a private consultant.
47 222 13 Euler Backward solver (EBI). AERMOD: example
48 222 18 EPA code for CMAQ and AERMOD). SlowSpotter™
49 223 14 Example (d) AERMOD. Poor cache utilization:
50 225 5 generation of compiler technology for AERMOD

2

3 Page Ref No. Keyword = "aermod"

4 _____

5

6 225 7 go with the double precision release of AERMOD.
 7 225 25 local scale analysis using AERMOD to (inaudible)
 8 226 9 inputs for AERMOD.
 9 226 18 to (inaudible) and create inputs in to AERMOD.

10

11 Page Ref No. Keyword = "AERSCREEN"

12 _____

13

14 165 11 AERSCREEN, is coming out soon. We'd like to see
 15 207 7 recommend use of AERSCREEN with different runs

16

17 Page Ref No. Keyword = "AERSURFACE"

18 _____

19

20 83 12 AERSURFACE pretty high roughness about 0.8 meters
 21 206 19 Issues with AERSURFACE implementation.
 22 226 16 essentially allowing AERSURFACE and AERMET to do

23

24 Page Ref No. Keyword = "air"

25 _____

26

27 7 7 in air quality modeling. This class of models
 28 22 10 750 meters up in the air and the height in the
 29 48 4 community multi scale air quality model from the
 30 48 13 predicting the level of air quality compared to
 31 48 24 questions are we capturing the changes in air
 32 51 2 case typically MM5 or WRF and one focuses on air
 33 51 14 (e.g. MM5, WRF) or air quality model (e.g. CMAQ,
 34 54 19 Profiler, and Aircraft Profiler.
 35 56 7 Similarly for aircraft comparisons similar types
 36 64 10 with air quality (AQ) standards? Is AERMOD's
 37 69 20 Eulerian air quality models, where predicted
 38 75 10 airport data and with the SEARCH data sets that
 39 75 18 series plot running the model with the airport
 40 76 12 again at the airport for Birmingham that the
 41 76 16 airport. Then higher roughness at the SEARCH
 42 77 3 series plot based on airport data the light blue
 43 77 6 airport.
 44 77 15 that monitor. But if you look at the airport
 45 77 19 airport this is a case where between calm and
 46 78 2 question of the representative of that airport
 47 78 16 compared with met SEARCH site and airport site to
 48 79 4 supplemented the airport with the 1-minute ASOS
 49 79 11 cold air and drainage flow. At the airport it's
 50 79 14 show up at all with this standard airport data

2

3 Page Ref No. Keyword = "air"

4

5

6	79	22	is that when you use the airport data under the
7	79	24	airport when you supplement it you are getting a
8	80	17	airport data and 25-30% is calm those results may
9	81	10	process airport data was not representative of
10	81	12	suggestion was to re-process airport data with lm
11	83	8	impacts. Again with the airport data this is the
12	83	14	airport data with the 1-minute ASOS
13	83	16	pretty low for an airport. And pretty close to
14	84	2	airport and the SEARCH site didn't seem to be
15	84	16	from standard ISHD airport data showed
16	85	3	And also another non standard airport site,
17	93	21	emergency response support for air modeling in
18	97	12	get air concentrations, deposition; and some
19	99	22	modeling air concentrations, it is from
20	131	25	hazardous air pollutants (HAPs), which is an
21	132	3	large spatial variability in air toxics
22	136	8	simple (inaudible) for all types of air quality
23	136	12	inputs and process that for the air quality
24	137	18	prevent kids in this terrible dooms day air
25	148	13	PGM Databases and model set ups. RPOs, AIRPACT,
26	154	9	source" air quality, visibility and deposition
27	154	23	"single source" air quality, visibility and
28	156	20	with our policy folks in the Air Quality
29	158	20	air standards has resulted in more non-attainment
30	158	24	on Air Quality Models. Highlights are listed
31	163	15	of Met models and air quality models in
32	165	25	anemometers generally located on airport
33	166	4	by surface roughness of airport property. Better
34	166	5	guidance is needed for translating the airport
35	166	8	sources that use airport data, the dispersion
36	166	10	the surface modeling of the airport roughness.
37	166	12	the airport wind observation to the land
38	167	2	concentrations in the presence of ambient air
39	167	12	CMAQ) for estimating air quality concentrations.
40	170	24	like to do is present issues related to air
41	172	10	air quality impacts under NEPA
42	172	15	Air quality modeling approach is: "Use
43	180	2	model output in air quality modeling
44	180	7	the use of meteorological models in air
45	180	16	model results used in an air quality
46	182	11	standard upper air and surface observations
47	182	22	these are your upper air sites across the CONUS
48	183	8	attractive at least in upper air data source
49	183	23	the vertical resolution of the upper air data
50	184	21	It uses Pittsburgh PA surface and upper air

2

3 Page Ref No. Keyword = "air"

4 _____

5

6 184 23 North American Regional Reanalysis). Upper air
 7 185 2 air site.
 8 185 19 suitable as an upper air resource - need to
 9 195 6 meteorological data on the air quality model which
 10 202 19 the Proposed National Ambient Air Quality
 11 207 21 Guideline on Air Quality Models is right, a calm
 12 208 20 300 km. Many applications in air quality
 13 208 21 modeling for the guideline purposes require air
 14 209 8 air issues. Complex terrain and slow reversal
 15 212 17 Air Regulatory Group (UARG). UARG is an ad hoc
 16 212 22 proceedings under the federal Clean Air Act.
 17 214 4 on the use of the air quality models, then we
 18 218 14 predicting the air quality impacts of emissions
 19 219 14 performance computing and started with air
 20 220 8 Regulatory Air Quality Models (AQM). They
 21 225 18 Mark Garrison from ERM. We service the Air
 22 225 22 support in the review and evaluation of air

23

24 Page Ref No. Keyword = "algorithms"

25 _____

26

27 85 25 with the PRIME downwash algorithms since it
 28 165 15 incorporate algorithms for near calm winds and
 29 165 17 algorithms for use in urban areas, especially for
 30 168 8 modifications to model algorithms. Model
 31 189 11 Base Used to Develop Downwash Algorithms). Other
 32 189 12 considerations are building downwash algorithms
 33 189 14 buildings. Building downwash algorithms in
 34 189 25 Prime Algorithms. With AERMOD/PRIME building
 35 191 7 Short/Large Buildings. The wake algorithms have
 36 194 21 dimensions match assumptions in algorithms. If
 37 194 23 BPIP for AERMOD/PRIME. Develop algorithms for

38

39 Page Ref No. Keyword = "appendix"

40 _____

41

42 38 20 Appendix W.
 43 72 10 Appendix W [ed. for NSR and] (inaudible) PSD.
 44 156 8 for EPA. Basically Appendix W Guidance on
 45 156 18 Appendix W would have to fall out of discussions
 46 202 20 Standards for Particulate Matter, Appendix B -
 47 213 4 revisions of Appendix W Guideline. The Modeling
 48 213 18 Guidelines to Appendix W. So our comments are
 49 216 11 Appendix W allows the choice of modeling

2

3 Page Ref No. Keyword = "ASOS"

4 _____

5

6 78 9 one ASOS data which we shared.
 7 79 4 supplemented the airport with the 1-minute ASOS
 8 79 13 supplemented it with 1-minute ASOS it doesn't
 9 83 14 airport data with the 1-minute ASOS
 10 84 20 ASOS wind data to reduce the number of calms,
 11 165 24 surface roughness to a 1 km radius of ASOS
 12 204 23 ASOS use of sonic anemometer data and averaging
 13 204 24 of sub-hourly ASOS data will likely create more

14

15 Page Ref No. Keyword = "atmosphere"

16 _____

17

18 22 11 atmosphere and you can see the presence of the
 19 105 2 atmosphere. That's the complete 3D-particle
 20 136 23 photochemical grid models are a one atmosphere
 21 137 4 So the One Atmosphere approach may not be
 22 181 20 atmosphere for a given point in time. It's
 23 199 7 in the atmosphere ("secondary formation") from

24

25 Page Ref No. Keyword = "BART"

26 _____

27

28 43 13 position with respect to BART and with respect to
 29 94 8 about the BART program which is we've seen a lot
 30 149 16 Texas Group BART application. CAMx 36/12 km with
 31 150 3 I have one slide on the Texas Bart but Texas
 32 150 4 had like 200 potential Bart eligible sources.
 33 150 7 groups of 10. In each group Bart analysis of 10
 34 150 9 contributions of groups of Texas BART sources for
 35 150 13 areas. Use IRON P-in-G for Texas BART Source.
 36 154 13 BART assessment. PM2.5 SIP modeling.
 37 155 3 Arkansas BART assessment. PM2.5 SIP modeling.
 38 178 8 the Hayden Power Plant Bart analysis done by
 39 199 11 This slide comes from a VISTAS BART

40

41 Page Ref No. Keyword = "Birmingham"

42 _____

43

44 75 8 Birmingham Local Area Analysis (LAA) for PM-2.5
 45 76 12 again at the airport for Birmingham that the
 46 77 18 you can see that trend. I think at Birmingham

2

3 Page Ref No. Keyword = "boundary"

4 _____

5

6 29 2 Nebraska we have a frontal boundary that starting
7 29 5 encountered the frontal boundary and started to
8 29 9 we're not encountering that frontal boundary and
9 84 5 boundary layer enhancement is certainly helping
10 104 6 represent the boundary layer transport. It looks
11 104 8 varies with height in the boundary layer.
12 104 17 effect. That is a big thing for boundary layer
13 105 21 boundary layer as there is a lot more shear with
14 140 8 boundary conditions to PM2.5 by adding duplicate
15 152 15 largest contributions are the boundary
16 152 16 conditions. The boundary conditions are outside
17 175 13 chemistry was used. When boundary

18

19 Page Ref No. Keyword = "calm"

20 _____

21

22 18 20 in CALMET. Perhaps Hybrid method verses NOOB = 1
23 18 23 different ways in which we supply data to CALMET
24 22 18 we did with CALMET meteorology we looked at
25 23 8 had two domains, two CALMET domains. For the 100
26 23 9 km arc we used the 4 km CALMET which was
27 23 12 previous CALMET and CALPUFF simulations to do
28 23 13 this. So we had a 20 km CALMET for 600 km
29 23 14 simulation and a 4 km CALMET for 100 km and then
30 24 10 CALPUFF with CALMET is doing about the same.
31 24 11 Both put in MM5 CALPUFF within the CALMET one
32 25 14 You can see here the CALMET winds did very
33 25 17 time at the 100 km arc. CALMET almost
34 26 2 as you can on the 100 km arch, CALMET does very
35 26 13 1998 timeframe, they ran in CALMET and NOOBS mode
36 26 20 something has changed inside CALMET I don't know.
37 27 13 CALMET. CALMET was much better in terms of
38 29 21 CALMET wind fields from the previous one. I
39 31 20 with the MM5 and there's no CALMET in this
40 36 4 CALMET options remained constant. CALPUFF
41 36 5 performance varied due to variations in CALMET
42 43 22 So I created a 12 km domain and ran CALMET just
43 77 10 correlated with high frequency calm. For example
44 77 11 if you have 18-20 hours of calm, it indicated a
45 77 19 airport this is a case where between calm and
46 80 17 airport data and 25-30% is calm those results may
47 160 9 models such as CALMET and prognostic full-physics
48 160 21 needed is to optimize use of Met model and CALMET
49 160 24 physics Met models (e.g. MM5) and CALMET; look at
50 161 16 methods). We'd like to assess if CALMET (or any

2

3 Page Ref No. Keyword = "calm"

4 _____

5

6 162 6 CALMET (or any diagnostic model) is truly needed
 7 163 24 model (e.g., MM5) direct input versus CALMET
 8 165 15 incorporate algorithms for near calm winds and
 9 207 21 Guideline on Air Quality Models is right, a calm
 10 208 2 missing calm.
 11 226 8 outputs and processed through CALMET to develop

12

13 Page Ref No. Keyword = "CALMET"

14 _____

15

16 18 20 in CALMET. Perhaps Hybrid method verses NOOB = 1
 17 18 23 different ways in which we supply data to CALMET
 18 22 18 we did with CALMET meteorology we looked at
 19 23 8 had two domains, two CALMET domains. For the 100
 20 23 9 km arc we used the 4 km CALMET which was
 21 23 12 previous CALMET and CALPUFF simulations to do
 22 23 13 this. So we had a 20 km CALMET for 600 km
 23 23 14 simulation and a 4 km CALMET for 100 km and then
 24 24 10 CALPUFF with CALMET is doing about the same.
 25 24 11 Both put in MM5 CALPUFF within the CALMET one
 26 25 14 You can see here the CALMET winds did very
 27 25 17 time at the 100 km arc. CALMET almost
 28 26 2 as you can on the 100 km arch, CALMET does very
 29 26 13 1998 timeframe, they ran in CALMET and NOOBS mode
 30 26 20 something has changed inside CALMET I don't know.
 31 27 13 CALMET. CALMET was much better in terms of
 32 29 21 CALMET wind fields from the previous one. I
 33 31 20 with the MM5 and there's no CALMET in this
 34 36 4 CALMET options remained constant. CALPUFF
 35 36 5 performance varied due to variations in CALMET
 36 43 22 So I created a 12 km domain and ran CALMET just
 37 160 9 models such as CALMET and prognostic full-physics
 38 160 21 needed is to optimize use of Met model and CALMET
 39 160 24 physics Met models (e.g. MM5) and CALMET; look at
 40 161 16 methods). We'd like to assess if CALMET (or any
 41 162 6 CALMET (or any diagnostic model) is truly needed
 42 163 24 model (e.g., MM5) direct input versus CALMET
 43 226 8 outputs and processed through CALMET to develop

44

45 Page Ref No. Keyword = "calms"

46 _____

47

48 77 5 against the frequency of calms each day from the
 49 77 21 data period missing either to calms or winds.
 50 78 5 down, calms go up, observed concentrations go up

2

3 Page Ref No. Keyword = "calms"

4 _____

5

6 78 7 without (inaudible) the calms go down. This is
 7 79 15 because they're all missing the calms.
 8 84 20 ASOS wind data to reduce the number of calms,
 9 85 18 predictions. The other was the calms. Looking
 10 183 15 calms verses what the observed data might have.
 11 207 15 Many more calms in recent data sets - if
 12 207 17 meet 90% capture criteria. If many calms, does
 13 207 18 CALMS preprocessor work properly? Conc

14

15 Page Ref No. Keyword = "CALPUFF"

16 _____

17

18 6 6 continuation of the CALPUFF session, but in order
 19 6 10 respect to CALPUFF. So we'll start with those
 20 7 2 employing in evaluating CALPUFF and the other
 21 11 13 evaluate CALPUFF and the other models.
 22 14 7 fact that CALPUFF model science had evolved
 23 17 10 was to examine science evolution of CALPUFF
 24 17 17 range of CALPUFF beyond recommended distance of
 25 18 13 to supply meteorological data to CALPUFF? As you
 26 19 25 a paper about comparing CALPUFF to (inaudible)
 27 21 16 published supporting the promulgation of CALPUFF.
 28 22 17 CALPUFF, FLEXPART and HYSPLIT and basically, what
 29 22 21 gave yesterday, we also included the MM5 CALPUFF
 30 23 12 previous CALMET and CALPUFF simulations to do
 31 24 10 CALPUFF with CALMET is doing about the same.
 32 24 11 Both put in MM5 CALPUFF within the CALMET one
 33 24 16 CALPUFF in the 100 km and unpredicted under 600
 34 25 4 CALPUFF turbulence and the AERMOD turbulence in
 35 27 3 (inaudible) CALPUFF we weren't getting the
 36 28 8 encouraging sign for the MM5 CALPUFF.
 37 29 12 For the MM5 CALPUFF, as you can see, it
 38 31 12 this is well beyond what CALPUFF what is
 39 31 21 simulation. It's only MM5 CALPUFF so basically
 40 32 16 This is what CALPUFF was showing here. I
 41 32 18 (inaudible) Hysplit and CALPUFF were a lot easier
 42 32 22 observation were looking like for this. CALPUFF
 43 33 2 of it. All three models CALPUFF, FLEXPART and
 44 33 14 CALPUFF and was just an experiment to take a look
 45 33 17 HYSPLIT was comparable with CALPUFF in the first
 46 34 7 CALPUFF on that one here where the high false
 47 34 19 better than CALPUFF here and you know you can
 48 35 10 Experiment, CALPUFF/CALMET 100 km results
 49 36 2 CALPUFF 1.0 distribution and use of lambert
 50 36 4 CALMET options remained constant. CALPUFF

2

3 Page Ref No. Keyword = "calpuff"

4

5

6 36 6 options selected. As you can see, CALPUFF
7 36 9 mentioned yester that CALPUFF is sensitive as to
8 36 14 see CALPUFF performs reasonably compared to
9 36 20 looking at Puff-splitting did not change CALPUFF
10 37 3 puff-splitting in CALPUFF.
11 39 9 in CALPUFF such as you resolve the terrain
12 46 21 about CALPUFF people can ask those before we get
13 71 12 the plume dispersion predictions in CALPUFF
14 94 9 of CALPUFF modeling you know we've also seen a
15 94 23 AERMOD), Gaussian Puff Models (INPUFF, CALPUFF,
16 118 20 that's in a version of CALPUFF and I said I would
17 119 12 CALPUFF.
18 120 17 and CALPUFF would this type. We have a puff that
19 122 8 The way this is implemented into CALPUFF are
20 122 13 into sub-steps (sampling steps) in CALPUFF. For
21 122 22 main CALPUFF routine.
22 122 23 CALPUFF then computes any physical process
23 123 9 restored. Parent puff treated in normal CALPUFF
24 124 24 CALPUFF and it's an older version. But it's
25 143 20 (not an evaluation of CAMx PSAT or CALPUFF) of
26 143 22 with CALPUFF visibility estimates. Several
27 144 4 meteorology output from MM5. CALPUFF was run in
28 144 14 CALPUFF. We are not trying to say which is right
29 144 17 the top we've got the CALPUFF results and on the
30 144 19 caveat to put on this is that CALPUFF look at
31 145 3 amazing was CALPUFF had some larger extinction
32 145 4 (?) of the contribution. We applied CALPUFF with
33 151 2 and primary PM emissions requested. CALPUFF
34 152 11 (inaudible) for that other model CALPUFF.
35 159 7 We had discussions yesterday of CALPUFF
36 159 17 models especially on CALPUFF and AERMOD. As you
37 159 19 CALPUFF and AERMOD at this time. We don't think
38 160 12 CALPUFF, CMAQ). Prognostic meteorological models
39 162 17 evaluations of CALPUFF using full chemistry as
40 163 8 test the use of CALPUFF for regional AQRV
41 167 4 for both AERMOD and CALPUFF.
42 167 11 detailed dispersion models (AERMOD, CALPUFF, or
43 167 16 principles (e.g., AERMOD, CALPUFF, CMAQ, CAMx
44 172 8 Ralph talk about that. CALPUFF is being
45 173 6 Formulation of CALPUFF chemistry. Lack
46 173 14 used in CALPUFF, SO4 formation is described
47 175 12 been done in terms of CALPUFF. RIVAD
48 175 21 indication that the as CALPUFF Model using
49 176 6 CALPUFF is predicting. Now we can get into
50 178 14 sulfate in CALPUFF, it's saying the nitrate

2

3 Page Ref No. Keyword = "calpuff"

4 _____

5

6	179	3	Monitoring data versus CALPUFF, 80,000
7	179	10	comprehensive model evaluation of CALPUFF in
8	186	23	CALPUFF. I think Harry Cramer, rest his soul,
9	195	17	processes that are a part of the CALPUFF system
10	196	21	for running AERMOD or CALPUFF. I think it seems
11	201	9	Secondary PM2.5 could be modeled with CALPUFF.
12	201	15	I'd like to address the issues with CALPUFF
13	201	22	find that CALPUFF will be mostly unbiased and I
14	201	25	predictions of CALPUFF.
15	202	11	CALPUFF and AERMOD can provide that statistic.
16	203	25	There is a role for CALPUFF (or other models) for
17	205	22	as is done with CALPUFF. EPA should develop a
18	205	23	system like that of the CALPUFF system, or
19	205	24	translate AERMOD conc. files to CALPUFF-like
20	208	8	be talking about CALPUFF and the comments of the
21	208	9	AB3 Committee on CALPUFF. Let me see if I can
22	208	16	about CALPUFF and talking about CALPUFF filling
23	208	17	your needs. About EPA concerns about CALPUFF and
24	209	4	demonstrated. CALPUFF is a model with community
25	209	13	EPA concerns about CALPUFF are relatively
26	209	15	evaluation and CALPUFF we are going to show in
27	209	17	demonstrate CALPUFF in near field areas.
28	209	22	EPA doesn't have direct control of CALPUFF and
29	210	4	The developer has training classes for CALPUFF.
30	210	6	advancing CALPUFF and will work to that end. EPA
31	210	7	doesn't have direct control of the CALPUFF code
32	210	12	CALPUFF lags behind in the code releases. The
33	210	22	CALPUFF at less than 50 km. Why is it 50
34	211	15	that CALPUFF comparison to LRT studies have been
35	211	18	we're using now. Many states are using CALPUFF
36	215	10	memorandum about the regulatory status of CALPUFF
37	215	12	of CALPUFF must go through a more extensive
38	215	17	document that a modeling system like CALPUFF,
39	216	8	parties trying to use CALPUFF in situations in
40	226	2	using CALPUFF to (inaudible) with CALPUFF. We've
41	226	3	done some quasi studies with CALPUFF looking at

42

43 Page Ref No. Keyword = "cell"

44 _____

45

46	108	25	concentration in any grid cell will be the mass
47	109	3	cell volume. If you're using some kind of puff
48	138	15	each grid cell.
49	141	20	grid cell. You can see the hot spot over there
50	144	6	at the number of times in each grid cell that had

2

3 Page Ref No. Keyword = "cell"

4 _____

5

6 151 8 modeling. 12 km grid cell size too coarse to
 7 155 8 for Ralph. When you do the (inaudible) cell
 8 155 12 cell due to (inaudible)?
 9 155 23 variability in the cell? That's my question
 10 156 5 of the (inaudible) the cell itself.

11

12 Page Ref No. Keyword = "cells"

13 _____

14

15 125 25 several grid cells before it reaches the size of
 16 147 16 and dispersion. Need many grid cells to assess
 17 155 10 receptors within the cells. The second question

18

19 Page Ref No. Keyword = "chemistry"

20 _____

21

22 81 23 better account for the NO2 chemistry in this
 23 97 23 chemistry and multiple sources, but there are
 24 98 10 There is an implicit linearity for chemistry.
 25 100 10 the meteorology. Now the non-linear chemistry
 26 100 17 Basically the chemistry works in its hybrid
 27 100 22 concentration grid and the chemistry solution is
 28 120 13 chemistry.
 29 126 4 transport of the emissions and chemistry of the
 30 127 8 simplified treatment of chemistry in some models,
 31 127 24 adds the full chemistry mechanism to SCIPUFF.
 32 128 16 We added PM and aqueous-phase chemistry
 33 130 22 source transport and chemistry of point source
 34 132 10 acetaldehyde-models need to treat the chemistry
 35 132 13 chemistry treatment and fine spatial resolution.
 36 132 18 emissions. Chemistry is switched off for this
 37 137 10 chemistry and transport and meteorology inputs to
 38 138 3 Heterogeneous Chemistry); advection (Horizontal &
 39 138 19 phase chemistry, ability to estimate realistic
 40 138 22 phase chemistry provides realistic sulfate
 41 139 4 state of the science inorganic chemistry
 42 141 4 and aqueous phase chemistry are solved for bulk
 43 145 19 advantage of state of the science chemistry, but
 44 147 9 chemistry. Photochemical Grid Models (PGMs) have
 45 147 10 capability to correctly treat chemistry. But how
 46 147 12 source plume chemistry and dispersion?
 47 147 15 the source to resolve near-source plume chemistry
 48 147 19 sources. Needed to correctly simulate chemistry.
 49 148 6 plume chemistry and dispersion without providing
 50 148 7 met and emission inputs and full chemistry Plume-

2

3 Page Ref No. Keyword = "chemistry"

4 _____

5

6 148 9 chemistry of point source plumes. Both CMAx and
 7 151 4 CMAQ full-science chemistry. Provide
 8 151 9 treat chemistry and dispersion of point source
 9 151 17 chemistry and dispersion. PM Source
 10 154 5 Full chemistry Plume-in-Grid modules. Ozone and
 11 154 7 aqueous-phase chemistry and aerosol thermodynamic
 12 154 19 Full chemistry Plume-in-Grid modules. Ozone and
 13 154 21 aqueous-phase chemistry and aerosol thermodynamic
 14 162 17 evaluations of CALPUFF using full chemistry as
 15 162 25 that EPA modify the chemistry, based on API/AER
 16 172 2 large extent in a full chemistry mode. And
 17 173 6 Formulation of CALPUFF chemistry. Lack
 18 173 8 a full chemistry mode. Indication of model
 19 173 13 In the MESOPUFF II chemistry module
 20 174 14 It's a comparison of CMAQ chemistry verses
 21 174 15 CMAQ MESO PUFF II chemistry. The blue dots
 22 174 18 prediction to the MESOPUFF chemistry
 23 174 19 compared to the CMAQ chemistry. This is
 24 174 23 chemistry is not working as it should be.
 25 175 4 chemistry and RIVAD and some modified RIVAD
 26 175 13 chemistry was used. When boundary
 27 179 11 a full chemistry model. Without a doubt
 28 209 20 The chemistry is fine for NOx , SO2 and PM

29

30 Page Ref No. Keyword = "Class I"

31 _____

32

33 7 13 these for Class I increments and for what we call
 34 39 19 the Class I analysis and exactly where the source
 35 39 24 into a Class I area. And in other cases it
 36 40 15 differenr source - Class I area pairs -- looking
 37 41 6 for PSD Class I increments that, in all cases,
 38 41 8 for PSD Class I increments. This was from Tim
 39 143 24 sources less than 50 km from Class I areas; used
 40 150 12 flexi-nest grid covering Texas and nearby Class I
 41 175 25 Bridger CLASS I area outside of Pinedale
 42 176 11 from the Class I areas. So you are not
 43 202 6 applications (e.g., Class I increment)? How to

44

45 Page Ref No. Keyword = "clearing house"

46 _____

47

48 91 17 The reason we have a clearing house process and
 49 92 18 Regional Offices to use the clearing house

2

3 Page Ref No. Keyword = "complex"

4 _____

5

6 19 23 good complex terrain to it which would be useful.
7 70 24 complex terrain). Conditions of concern for
8 97 22 It lends itself to easily handle complex
9 158 21 areas and the need for more complex and more
10 162 21 SCIPUFF And the ability to handle complex
11 186 20 Complex (ISC)] model. I'm not sure if that is
12 189 2 Prime, it's going to be hard to treat complex
13 190 20 complex and that's the shape of the building that
14 209 8 air issues. Complex terrain and slow reversal
15 211 7 method to define precisely when complex winds
16 211 9 referring to paper I gave 3 years ago on complex
17 211 10 modeling and a better definition of complex
18 211 12 definition of complex winds.
19 221 7 They do this by inserting complex memory

20

21 Page Ref No. Keyword = "concentration"

22 _____

23

24 10 4 integrated concentration and observed the fitted
25 10 10 hour or twelve hour arc concentration on that
26 12 6 concentration. For Bias, we have just mean bias
27 44 8 the concentration was smaller. On advice from
28 44 17 changes in concentration: 20, 12 and 4 were very
29 45 3 fairly consistent decrease in the concentration.
30 53 23 itself. Like concentration if you want to limit
31 53 24 to a certain concentration you can do that as
32 63 16 concentration trends with distance and maximum
33 64 17 like the robust highest concentration. For
34 65 2 Concentration, or the RHC, represent a smoothed
35 69 10 have a cross wind concentration like this you
36 69 13 concentration and so on.
37 73 6 peak of the concentration distribution, unpaired
38 73 11 concentration distributions paired in time and
39 74 3 concentration at each arc not the individual
40 76 5 concentration of AERMOD across the gridded
41 76 7 the actual monitored concentration. It actually
42 77 9 observed concentration goes up it's often highly
43 77 13 observed concentration. That certainly suggests
44 77 24 you will be expected high concentration under
45 78 6 but the model concentration with that data
46 78 12 concentration. This period stood out initially I
47 82 11 concentration and the lighter blue is the model
48 82 12 concentration from AERMOD. Again most of this is
49 83 13 0.7 meters verses concentration process with the
50 83 21 produced the higher concentration was the from

2

3 Page Ref No. Keyword = "concentration"

4 _____

5

6	90	11	metric concentration really captured the plume
7	97	18	derivative of the concentration change which is
8	98	12	want to get the concentration at a particular
9	99	25	simultaneous meteorology and concentration grids.
10	100	22	concentration grid and the chemistry solution is
11	100	23	run. The concentration change is linearly
12	102	23	provide the concentration background and combine
13	105	10	a growing concentration distribution in the
14	106	24	you're in you have a mean concentration and the
15	106	25	mean concentration would be the top hat. It
16	108	25	concentration in any grid cell will be the mass
17	119	20	and predict the mean concentration and give
18	120	21	concentration distribution belong to a "piece" of
19	124	15	wind integrated concentration (CIC). Very
20	132	25	background concentration.
21	133	10	model results compared with CO concentration
22	144	7	a 24 hour average [ed. concentration] (inaudible)
23	167	18	specific concentration data sets. The use of
24	174	2	3) Plume NOx Concentration
25	176	12	going to see sharp concentration gradients
26	185	5	concentration for SO2). NARR run within 5% of
27	194	16	increase of concentration as if the hill weren't
28	205	3	these "design concentration" predictions.
29	226	24	what kind of concentration are the result of the

30

31 Page Ref No. Keyword = "concentrations"

32 _____

33

34	10	5	maximum concentrations on that arch. That method
35	26	11	concentrations for 15 hours on the arc. So what
36	39	13	concentrations go. Is that really true or it is
37	40	21	the concentrations went up with finer resolution,
38	41	11	km show a decrease in concentrations. There have
39	57	10	statistics available. And also concentrations,
40	63	17	concentrations on tracer arcs that are used for
41	64	9	ground-level concentrations used for compliance
42	65	3	estimate of the highest concentrations (from Cox-
43	65	9	hopefully the peak concentrations are close to
44	65	12	range of the moderate concentrations we are a
45	66	15	observed and predicted concentrations where an FB
46	69	21	concentrations represent averages over a grid
47	69	22	volume, but observed concentrations represent
48	74	4	concentrations that each receptor along the arc.
49	76	11	concentrations from the monitor. This just shows
50	77	2	all this is a plot again concentrations a time

2

3 Page Ref No. Keyword = "concentrations"

4

5

6	78	5	down, calms go up, observed concentrations go up
7	79	19	where they had the PM 2.5 concentrations and
8	81	6	comparisons showed AERMOD concentrations
9	81	8	concentrations at 3 Atlanta monitors. An initial
10	83	9	Q-Q plot of modeled concentrations using SEARCH.
11	83	10	These are AERMOD concentrations using the SEARCH
12	84	14	concentrations from refineries in Texas for
13	84	19	concentrations. We recommended using 1-minute
14	97	12	get air concentrations, deposition; and some
15	99	22	modeling air concentrations, it is from
16	106	4	particle concentrations you can see from the
17	108	23	concentrations? Well each particle if you're
18	111	11	measuring concentrations over the US and I just
19	111	18	about the right, but concentrations a little bit
20	113	24	measured concentrations; the Kolomogorov-Smirnov
21	124	12	maximum concentrations with little overall bias
22	124	19	maximum concentrations and some displacement of
23	124	20	location of peak concentrations.
24	126	22	model provides background concentrations to the
25	126	25	concentrations are adjusted. There's a two way
26	129	25	to average July PM2.5 sulfate concentrations. The
27	130	24	concentrations. CMAQ-AERO3-APT predicts lower
28	132	4	concentrations near roadways. Exposure levels
29	132	17	and benzene concentrations from roadway
30	132	22	Concentrations are calculated at discrete
31	132	24	concentrations with the grid-cell average
32	133	9	qualitative evaluation of CO concentrations from
33	138	20	ozone concentrations, no need for a constant
34	139	2	concentrations, spatial/temporal representation
35	139	3	of ammonia and nitric acid concentrations and
36	143	15	example of what the concentrations look like.
37	147	6	concentrations, deposition and visibility.
38	149	20	contributions to 2009 annual PM2.5 concentrations.
39	167	2	concentrations in the presence of ambient air
40	167	3	ozone concentrations. This should be performed
41	167	12	CMAQ) for estimating air quality concentrations.
42	175	6	developing nitrate concentrations in excess
43	175	17	formation was limited by NH3 concentrations.
44	175	23	towards over predicting NO3 concentrations.
45	177	3	concentrations the maximum measured there's
46	177	5	concentrations is certainly not enough to
47	191	2	concentrations at ground level and on a nearby
48	191	4	Dimensions gave lower concentrations and ones
49	192	4	concentrations predictions. We ran five typical
50	192	13	outside of the cavity region the concentrations

2

3 Page Ref No. Keyword = "concentrations"

4 _____

5

6 192 25 higher concentrations than currently predicted in
 7 193 10 here. That was given the highest concentrations.
 8 193 11 The lower concentrations are these two here.
 9 193 14 concentrations looked like in the wind tunnel.
 10 193 17 of vortex is increasing the concentrations by
 11 194 3 concentrations increased by a nearly a factor of
 12 198 23 background concentrations - how to treat, and
 13 203 8 source impact concentrations. If daily
 14 203 9 background concentrations are not available, fill
 15 203 16 need to be resolved. Background concentrations
 16 203 17 can be much higher than modeled concentrations.

17

18 Page Ref No. Keyword = "convective"

19 _____

20

21 123 18 convective conditions
 22 124 2 •Mostly convective conditions

23

24 Page Ref No. Keyword = "data"

25 _____

26

27 7 25 meteorological and tracer databases for
 28 8 5 archive of these data sets. So the first goal
 29 11 2 This data set and these programs on the NOAA ARL
 30 11 12 those performance those data base out there to
 31 14 25 meteorological database for use with LRT model
 32 15 5 have the MM5 data that was run up there and have
 33 15 7 can go on the web site and get that data and do
 34 15 11 had mentioned yesterday in trying to get the data
 35 15 15 meeting, we had all the data assembled that I was
 36 15 19 data sets and get those out there. So that was
 37 15 21 That's the ultimate goal to get those data sets
 38 16 2 SCRAM for the evaluation data sets for the
 39 16 3 developmental data sets that were used for
 40 16 24 assembled tracer database. Then like I said
 41 17 2 LRT models for the assembled tracer database to
 42 18 10 these tracer data bases looking at both
 43 18 13 to supply meteorological data to CALPUFF? As you
 44 18 23 different ways in which we supply data to CALMET
 45 20 5 include in the database.
 46 21 2 to take the meteorological data from MM5 and
 47 22 22 and this is one of the data sets that we're
 48 23 23 validate the MM5 data and that's something we
 49 30 11 develop a database which could be used for model
 50 31 4 NCEP Reanalysis Data and was consistent with what

2			
3	Page	Ref No.	Keyword = "data"
4	_____	_____	_____
5			
6	31	25	same meteorological data.
7	34	18	terms of the statistical data. It did marginally
8	35	2	here to draw any conclusions from current data.
9	35	18	data, horizontal, and vertical grid
10	37	10	data availability necessary. Clearly we need to
11	46	18	described understanding what data he's working
12	51	6	charge, license free. One is a database called
13	51	16	an entire gridded data set. We're just using
14	52	6	generate database records and then those records
15	52	7	go into the MySQL database. In essence we are
16	52	8	just populating the database with model
17	52	11	all the data and observation are in the database
18	52	13	pre-generated scripts to query that database,
19	52	14	poll the type of data you want and then create
20	53	4	the MM5 or WRF and here it's a meta data set that
21	53	8	they do in the database.
22	53	11	Data stored in relational database which is great
23	53	12	because one it puts all your data in a single
24	53	15	database and treated the same way. The real
25	53	16	power is it allows data queries based on many
26	53	21	sites, you can do it by pretty much any met data
27	53	22	you can query by. You can also query by the data
28	55	6	whatever your data set is and this is what gets
29	55	9	see the distribution and wind speed in your data
30	55	16	this is don't worry about the data showed
31	56	14	different data. Scatter plots this includes
32	57	15	also include another model data so you could
33	57	18	you can ... the behavior of the data across the
34	57	22	specific to some of the data available for
35	58	4	whatever your data or skip a type of plot you
36	58	15	into the database and analysis just like you
37	58	16	would any other database. Even if you are not
38	58	18	have data generally in the common (inaudible)
39	58	21	the database and analysis just like you would
40	58	24	and bring it right into the database.
41	59	2	can be used outside of data met. There are
42	59	3	scripts so if you got data and you don't want to
43	59	5	database, take the R script and you can read it
44	59	20	tutorial data and example output plots and then
45	60	6	locally and accesses remote database. It would
46	60	8	script database. Hopefully we can do some
47	60	13	what met data you put in you can use as a query
48	62	22	I will also mention some evaluation databases
49	63	4	provided that database to EPA for AERMOD. And we
50	63	7	evaluation of low wind speed databases with API

2

3 Page Ref No. Keyword = "data"

4 _____

5

6 63 11 types for evaluation of databases. One involves
7 63 23 where the other type of database -- the long-term
8 64 6 database.
9 64 12 similar models? Evaluation databases were a
10 64 21 for both types of evaluation databases. Residual
11 64 25 databases. Estimates of Robust Highest
12 65 6 only used for tracer databases.
13 66 20 sampling of data used to determine confidence
14 67 5 databases.
15 67 18 best suited to tracer databases and is widely
16 67 25 different kinds of data pairings
17 68 16 is a plot of the various data values such that if
18 70 4 lot of archived databases, but unfortunately the
19 70 10 databases. You probably can't see this, but you
20 70 12 over a 100 database references. For the existing
21 70 13 data, I would like somehow to make sure with EPA
22 70 15 Literally, these are about a hundred databases,
23 70 17 these databases.
24 70 19 gridded meteorological data. It's almost like a
25 70 20 new concept do we trust MM5 data instead of a
26 70 22 analysis the gridded met data. There be may be
27 71 3 meteorological data.
28 71 17 Sources of data for testing that I would
29 71 19 tower data, not just surface data because a lot
30 71 22 the data has been provided to the agencies are
31 72 2 databases be used for the independent assessment
32 72 3 for the evaluation of the gridded met data. That
33 73 19 one of the best databases ever collected back in
34 74 10 tall stack or evaluation data base that was used
35 75 10 airport data and with the SEARCH data sets that
36 75 13 and the SEARCH met data. The model seemed to be
37 75 19 only data which that blue line down near zero and
38 75 20 you have the SEARCH data. As you can see there's
39 77 3 series plot based on airport data the light blue
40 77 21 data period missing either to calms or winds.
41 78 3 data for that applications because you can see a
42 78 6 but the model concentration with that data
43 78 9 one ASOS data which we shared.
44 78 11 is with the SEARCH data showing a high
45 78 15 data. Just looking at the wind direction
46 79 14 show up at all with this standard airport data
47 79 22 is that when you use the airport data under the
48 80 11 data was in the wrong direction and was basically
49 80 17 airport data and 25-30% is calm those results may
50 81 10 process airport data was not representative of

2

3 Page Ref No. Keyword = "data"

4

5

6	81	12	suggestion was to re-process airport data with 1m
7	81	17	process SEARCH met data as more representative of
8	83	11	data process with surface characteristics using
9	83	14	airport data with the 1-minute ASOS
10	83	20	But interestingly enough the met data that
11	84	16	from standard ISHD airport data showed
12	84	20	ASOS wind data to reduce the number of calms,
13	84	23	met data resulted in selection of another nearby
14	86	11	different met data and different source
15	86	14	data and including some Sigma Z so this is
16	86	18	Hybrid met data about 5.96 so we're getting
17	89	5	evaluation databases and what types of sources
18	89	21	any good databases to look at especially low
19	90	2	collect the data to show well we're not causing
20	90	14	off the work he's doing. Other databases out
21	100	6	high resolution terrain it would use that data
22	101	9	model used was rawinsonde data with day/night
23	101	11	to gridded meteorological data. Based on the
24	101	13	could do a better job using meteorological data
25	101	21	rawinsonde data was really insufficient to
26	114	14	one of them had different meteorological data
27	114	17	gridded data so when we were doing later
28	114	21	site download and convert that data so that you
29	114	23	have a consistent meteorological database that is
30	114	25	can go back and look at the old data and see how
31	115	11	there's lots of data. This is available on our
32	118	5	database (web) and not the PC version; GIS-like
33	123	12	different data sets which included:
34	124	13	and nearly all data points within factor of two
35	124	21	Kincaid used QI=3 (highest quality) data
36	125	4	in determining its performance in other data
37	134	9	to evaluate it with available data. Over 150
38	135	3	and data sources like VISTAS; Atmospheric
39	137	9	VOC, SOx, PM and toxics and use data science
40	141	22	offers speciated data so it can figure out the
41	147	20	Databases more costly to develop. MM5/WRF
42	148	13	PGM Databases and model set ups. RPOs, AIRPACT,
43	148	22	coarse grid data. Allows fine grid treatment of
44	150	11	2002 36 km modeling CAMx database. Add 12 km
45	151	6	SIP projections. ASIP 36/12 km database
46	151	15	2002 database, 12/4 km domain with two-way nested
47	159	22	meteorological data and land use variations. Can
48	160	5	topography, wind persistence data and land use
49	161	11	models vs. field study data sets; and possible
50	161	15	and Penn State MM5 Met model data assimilation

2

3 Page Ref No. Keyword = "data"

4 _____

5

6	161	25	field study data sets; possible new field
7	162	5	Met model data assimilation methods). Assess if
8	162	12	We'll talk some more about data gathering in
9	162	13	Wyoming and we'd like to see databases developed
10	162	14	further which would provide monitoring data and
11	162	15	emissions data inventory.
12	165	16	test with appropriate field data sets; improve
13	166	8	sources that use airport data, the dispersion
14	166	16	output should summarize the processed met data so
15	166	18	if that year of data is suitable for regulatory
16	167	9	monitoring data combined with statistical
17	167	18	specific concentration data sets. The use of
18	168	19	evaluation using the existing databases and/or
19	171	13	look at it against observational data and
20	173	2	included in the monitoring data which is
21	176	17	the improved monitoring data at Bridger over
22	179	2	in the monitoring data.
23	179	3	Monitoring data versus CALPUFF, 80,000
24	179	14	There are currently data sets being
25	179	19	starting to build some databases here, but
26	180	20	for use of NOAA reanalysis data.
27	181	2	There are reanalysis data assets outside
28	181	18	Reanalysis data is a dynamically consistent
29	181	21	based off of observed data and not a
30	181	23	NOOA cycles their models with initial data
31	181	25	far back as 1948 to create a reanalysis data
32	182	4	reanalysis data set that goes back to 1979
33	182	9	Potentially a source for site specific data -
34	182	24	some of Canada. This is a reanalysis data set
35	183	2	data set goes back to 1948 and is available at
36	183	4	might get some more site specific data but if
37	183	5	you use the North American Reanalysis data and
38	183	8	attractive at least in upper air data source
39	183	11	pull some of this data in and run it through
40	183	15	calms verses what the observed data might have.
41	183	21	required by a sounding. But in our data of
42	183	23	the vertical resolution of the upper air data
43	184	8	the gridded data and put it in a text format.
44	184	20	It was just a data set for me and I used it.
45	184	22	data (and on site data). Re-run with NARR (ed.
46	184	24	data extracted from NARR grid and interpolated
47	185	3	All other data remained consistent with the
48	185	7	2nd high. Receptor location and data of 1st and
49	185	17	requirements of surface data for AERMOD.
50	189	10	Snyder/Lawson Data Base Flow Region (i.e., Data

2

3 Page Ref No. Keyword = "data"

4 _____

5

6 192 6 the five sources. 1 year met data kind of a
7 195 6 meteorological data on the air quality model which
8 195 19 the use to concert MM5 data and WRF and
9 195 24 specific data sets. It's one way of reducing the
10 196 6 change the wind data. It's exactly as it came
11 196 20 The other thing is producing met data sets
12 196 23 Evaluate gridded meteorological data performance
13 197 2 dispersion model to met database. Separately
14 197 9 Then separately use the data sets to
15 197 18 prognostic data.
16 197 21 the data set to allow sub hourly prognostic data.
17 197 25 sub hourly data has its advantage.
18 198 5 times higher results using prognostic data than
19 198 8 data? No under-prediction bias relative to
20 202 15 databases. Certain industry groups have also
21 202 16 reviewed stack test data to develop emission
22 204 23 ASOS use of sonic anemometer data and averaging
23 204 24 of sub-hourly ASOS data will likely create more
24 205 6 traffic itself. Review of data from tracer
25 207 14 states advocating use of more recent data sets.
26 207 15 Many more calms in recent data sets - if
27 207 20 recent met data. If my interpretation of the
28 207 22 is considered a missing data? Is that right?
29 221 3 What is the problem? Movement of data is
30 222 6 latency. Cache space is wasted when data resides
31 222 7 there but is unused. Unused data in cache
32 222 16 a 16KB L1 data cache and 1MB L2 cache with
33 222 20 performance data (for details see HiPERiSM's Web
34 222 24 bars shows no wasted cache space - i.e. all data
35 223 5 bars shows wasted cache space - i.e. data loaded
36 223 11 performance. Linux platform with a 16KB L1 data
37 223 16 cache space - i.e. data loaded from memory but
38 224 4 Requires too much disorganized data movement.
39 224 5 Next generation hardware requires data
40 226 7 ways for extracting data from MM5 and WRF file
41 226 22 profiles with data collected on met towers. And

42

43 Page Ref No. Keyword = "database"

44 _____

45

46 14 25 meteorological database for use with LRT model
47 16 24 assembled tracer database. Then like I said
48 17 2 LRT models for the assembled tracer database to
49 20 5 include in the database.
50 30 11 develop a database which could be used for model

2

3 Page Ref No. Keyword = "database"

4 _____

5

6 51 6 charge, license free. One is a database called
7 52 6 generate database records and then those records
8 52 7 go into the MySQL database. In essence we are
9 52 8 jus populating the database with model
10 52 11 all the data and observation are in the database
11 52 13 pre-generated scripts to query that database,
12 53 8 they do in the database.
13 53 11 Data stored in relational database which is great
14 53 15 database and treated the same way. The real
15 58 15 into the database and analysis just like you
16 58 16 would any other database. Even if you are not
17 58 21 the database and analysis just like you would
18 58 24 and bring it right into the database.
19 59 5 database, take the R script and you can read it
20 60 6 locally and accesses remote database. It would
21 60 8 script database. Hopefully we can do some
22 63 4 provided that database to EPA for AERMOD. And we
23 63 23 where the other type of database -- the long-term
24 64 6 database.
25 70 12 over a 100 database references. For the existing
26 114 23 have a consistent meteorological database that is
27 118 5 database (web) and not the PC version; GIS-like
28 150 11 2002 36 km modeling CAMx database. Add 12 km
29 151 6 SIP projections. ASIP 36/12 km database
30 151 15 2002 database, 12/4 km domain with two-way nested
31 197 2 dispersion model to met database. Separately

32

33 Page Ref No. Keyword = "databases"

34 _____

35

36 7 25 meteorological and tracer databases for
37 62 22 I will also mention some evaluation databases
38 63 7 evaluation of low wind speed databases with API
39 63 11 types for evaluation of databases. One involves
40 64 12 similar models? Evaluation databases were a
41 64 21 for both types of evaluation databases. Residual
42 64 25 databases. Estimates of Robust Highest
43 65 6 only used for tracer databases.
44 67 5 databases.
45 67 18 best suited to tracer databases and is widely
46 70 4 lot of archived databases, but unfortunately the
47 70 10 databases. You probably can't see this, but you
48 70 15 Literally, these are about a hundred databases,
49 70 17 these databases.
50 72 2 databases be used for the independent assessment

2

3 Page Ref No. Keyword = "databases"

4 _____

5

6 73 19 one of the best databases ever collected back in
 7 89 5 evaluation databases and what types of sources
 8 89 21 any good databases to look at especially low
 9 90 14 off the work he's doing. Other databases out
 10 147 20 Databases more costly to develop. MM5/WRF
 11 148 13 PGM Databases and model set ups. RPOs, AIRPACT,
 12 162 13 Wyoming and we'd like to see databases developed
 13 168 19 evaluation using the existing databases and/or
 14 179 19 starting to build some databases here, but
 15 202 15 databases. Certain industry groups have also

16

17 Page Ref No. Keyword = "datum"

18 _____

19

20 15 24 themselves similar to the datum web site and

21

22 Page Ref No. Keyword = "default"

23 _____

24

25 58 9 default AQ side and then the Soccer Goal Plot is
 26 163 5 heavily on default values. Need to resolve met
 27 192 7 standard AERMOD default mode. And we ran with

28

29 Page Ref No. Keyword = "DEM"

30 _____

31

32 42 22 Service because they wanted some demonstrations,
 33 46 6 and stay away from this EPA has demanded stuff.
 34 75 7 heard about this the Alabama DEM study for the
 35 87 13 that more robust demand on its performance.
 36 120 11 computationally demanding and there is more
 37 193 3 To demonstrate that I have a couple of
 38 202 17 factors. EPA demonstrates possible approach in
 39 209 4 demonstrated. CALPUFF is a model with community
 40 209 17 demonstrate CALPUFF in near field areas.
 41 211 5 Requiring equivalency demonstrations of less

42

43 Page Ref No. Keyword = "dispersion"

44 _____

45

46 16 10 system we're talking about here. The dispersion
 47 18 4 recommend turbulence based dispersion (CALPUFF
 48 20 4 Dispersion thing we'd like to get hold of that to
 49 67 21 within Atmospheric Dispersion Modelling for
 50 70 25 dispersion modeling are how often are the winds

2

3 Page Ref No. Keyword = "dispersion"

4

5

6	71	11	dispersion. The use of better meteorology got
7	71	12	the plume dispersion predictions in CALPUFF
8	72	25	requirements of operational Regulatory Dispersion
9	97	11	method; how to simulate plume dispersion, how to
10	97	20	flow and dispersion across the interface and you
11	99	2	and that means forward trajectory or dispersion.
12	99	18	dispersion. The dispersion is computed using 3D
13	100	19	sources and do the computation of dispersion and
14	102	2	to the dispersion code because the interest
15	104	15	driving the dispersion process. If you added any
16	104	18	dispersion.
17	106	12	really seeing any dispersion here because we're
18	107	13	turbulent dispersion. That u-prime is computed
19	111	20	just standard transport and dispersion.
20	115	6	you find changing dispersion in the model and
21	119	14	alternative or an option to treat dispersion in a
22	120	4	meteorological and dispersion conditions,
23	120	5	causality effects, low wind speed dispersion,
24	120	7	variability in dispersion rates, etc. Lagrangian
25	120	23	cluster dispersion puff model where a puff is a
26	120	25	concept of relative dispersion (due to turbulent
27	121	8	relative dispersion but update frequency of flow
28	121	10	covered by relative dispersion concept. PPM uses
29	121	11	a full stochastic Lagrangian particle dispersion
30	121	17	relative dispersion. Every puff carries along
31	121	24	trajectories. Two contributions of dispersion
32	121	25	process are the relative dispersion (small
33	123	5	Relative dispersion ~ same as absolute
34	123	6	dispersion. At that point, the parent puff
35	123	10	way using absolute dispersion.
36	124	7	part of European short-range dispersion model
37	124	17	Lagrangian particle dispersion model (LPFM)
38	126	13	about yesterday - the early plume dispersion and
39	126	14	the mid-range plume dispersion, and the grid
40	127	22	order closure approach for plume dispersion and
41	136	9	modeling systems whether it's dispersion, or
42	136	15	a dispersion model, simple photochemical box
43	138	7	with photochemical models. The dispersion model
44	147	12	source plume chemistry and dispersion?
45	147	16	and dispersion. Need many grid cells to assess
46	148	6	plume chemistry and dispersion without providing
47	151	9	treat chemistry and dispersion of point source
48	151	17	chemistry and dispersion. PM Source
49	160	11	time varying dispersion models (e.g., AERMOD,
50	161	10	performance of Met models coupled with dispersion

2

3 Page Ref No. Keyword = "dispersion"

4 _____

5

6	161	24	Met models coupled with dispersion models vs.
7	162	22	terrain, short term puff dispersion, chemical
8	164	5	improvements in regional dispersion model
9	166	3	that the dispersion modeling domain is dominated
10	166	8	sources that use airport data, the dispersion
11	167	11	detailed dispersion models (AERMOD, CALPUFF, or
12	167	14	use of dispersion models that are based on
13	167	20	dispersion models should be reviewed by an expert
14	168	17	meteorological models to drive dispersion models.
15	180	4	output must be tested for each dispersion
16	189	6	location to get correct dispersion. Does not
17	190	19	really match the dispersion for that whole
18	190	21	matches the dispersion. It's much closer to the
19	196	24	separately from dispersion model performance.
20	197	2	dispersion model to met database. Separately
21	197	7	dispersion model to different variables. Model

22

23 Page Ref No. Keyword = "domain"

24 _____

25

26	23	25	extensively. We have domain wide statistics that
27	43	22	So I created a 12 km domain and ran CALMET just
28	71	23	now in the public domain. There are numerous
29	97	21	have to solve the entire domain.
30	129	22	modeling domain for the application and locations
31	133	7	shows the grid model domain.
32	134	15	This slide shows the modeling domain for the
33	134	17	can see it is a very large domain with a large
34	151	15	2002 database, 12/4 km domain with two-way nested
35	151	21	This is our CAMx 12/4 km domain nested
36	151	22	within ASIP 12 km CMAQ domain (one-way nesting).
37	159	23	you hear me? Okay. What is the minimum domain
38	166	3	that the dispersion modeling domain is dominated
39	166	7	the pollutant source domain. For most pollutant
40	166	9	model domain is going to be entirely dominated by
41	166	13	characteristics of the pollutant source domain.
42	182	12	sets. Public domain (data and conversion

43

44 Page Ref No. Keyword = "downwash"

45 _____

46

47	85	25	with the PRIME downwash algorithms since it
48	88	23	of the model to deal with downwash that's more
49	91	4	being considered downwash structures. In GEP
50	91	7	downwash structures. There seems to be some

2

3 Page Ref No. Keyword = "downwash"

4 _____

5

6 188 19 building and downwash issues. Basically the main
 7 189 11 Base Used to Develop Downwash Algorithms). Other
 8 189 12 considerations are building downwash algorithms
 9 189 14 buildings. Building downwash algorithms in

10

11 Page Ref No. Keyword = "downwind"

12 _____

13

14 64 23 conc vs. downwind distance or wind speed, etc.
 15 69 8 conditions as atmospheric stability or downwind
 16 86 23 one was pretty much downwind from one of the
 17 131 19 especially in Pennsylvania downwind of the
 18 147 17 downwind impacts. High computer resource
 19 148 3 fine grid over sources with coarser grid downwind
 20 148 19 sources with coarser grids downwind where plumes
 21 192 19 effect as you move further downwind becomes less.

22

23 Page Ref No. Keyword = "EPA"

24 _____

25

26 8 10 transport (LRT) models used by the EPA.
 27 8 24 that you can find on the EPA web site are done by
 28 12 10 and then we've added additional EPA metrics, the
 29 14 6 the 8th Modeling Conference - EPA recognized the
 30 14 13 reflected in the EPA long range guidance.
 31 17 6 to updating existing EPA LRT modeling guidance
 32 17 18 200-300 km? At the 7th Modeling Conference, EPA's
 33 18 6 mentioned, back in 2006, EPA issued a Model
 34 23 20 necessarily wed to EPA (inaudible) scheme but
 35 35 17 EPA in 1997 despite using same raw meteorological
 36 35 24 The two major differences from original EPA
 37 37 19 Let me just mention where are we at from the EPA
 38 39 8 Scire or EPA. There is guidance for grid spacing
 39 41 5 memo distributed by EPA that specifically said
 40 41 12 been recent studies conducted by EPA to document
 41 41 16 that was supposedly issued by EPA that was
 42 42 12 changes with the EPA or the FLM or the other two
 43 43 5 to 1,000 meters and provide that to EPA, the FLMs
 44 45 17 that EPA has issued memos or these tests have
 45 46 6 and stay away from this EPA has demanded stuff.
 46 47 19 or within EPA with our Office of Research and
 47 48 5 EPA (inaudible) Office of Research and
 48 48 17 work that we put forward as EPA in doing these
 49 50 18 modeling division in ORD here at EPA. And as
 50 61 17 basically did the development internally at EPA

2			
3	Page	Ref No.	Keyword = "epa"
4	_____	_____	_____
5			
6	61	23	Tyler Fox: Just a side note we at EPA will
7	62	24	over to EPA, and also a brief comment on the
8	63	4	provided that database to EPA for AERMOD. And we
9	63	8	funding and working with EPA on that issue as
10	70	13	data, I would like somehow to make sure with EPA
11	70	16	so it would be nice for EPA to take ownership of
12	71	9	North Dakota, we found that the EPA model missed
13	91	14	To come up with the EPA guidance, I think it
14	93	20	the EPA regions have been tasked with providing
15	127	18	alternative model recommended by EPA on a case-
16	128	2	embedded in MAQSIP, the precursor to the U.S. EPA
17	128	18	developed: one including the EPA treatment of PM
18	129	6	PM treatment and the EPA PM treatment which is
19	135	2	COM; Parallelization Insights: David Wong, EPA;
20	148	14	SIPs, etc. and EPA has been developing stuff.
21	149	3	(for EPA/OAQPS)
22	156	8	for EPA. Basically Appendix W Guidance on
23	158	23	issues relating to aspects of the EPA's Guideline
24	159	10	general concern that API has more EPA Guidance
25	159	12	have seen a lot of response from EPA even before
26	160	15	resolution. We'd like to see EPA reach out to
27	161	19	AQM. EPA should work with other agencies (DTRA,
28	162	25	that EPA modify the chemistry, based on API/AER
29	163	18	underway. EPA should lead the effort with
30	164	4	we knew all the things EPA is doing. Recent
31	164	6	performance measures have been made; EPA efforts
32	165	7	makers. EPA should investigate and possibly make
33	165	14	improvements and draft documents produced and EPA
34	165	22	Based on EPA guidance, EPA limits the
35	166	23	Ratio Model (PMVRM. We like for EPA to further
36	167	6	EPA has asked questions and asked for advice on
37	167	13	EPA should promote consistent and general
38	167	22	stakeholder communities. We'd like to see EPA
39	168	7	internal EPA and outside models) and of proposed
40	169	4	emphasize a couple of things. One is EPA
41	170	22	EPA guidance.
42	171	6	communicate to EPA some of the things we
43	171	20	going to challenge EPA here is that in the
44	180	5	model application; EPA needs to coordinate a
45	193	24	EPA research shows that the effect of upwind
46	194	13	EPA wind tunnel where they showed these terrain
47	200	9	quantified, and modeled based on EPA Reference
48	200	12	underway to propose more reliable methods. EPA
49	200	20	EPA had a PM10 surrogate policies for compliance
50	202	14	source types from EPA's AP-42, SPECIATE, and FIRE

2

3 Page Ref No. Keyword = "epa"

4

5

6 202 17 factors. EPA demonstrates possible approach in
7 203 23 issues remain unresolved for PM2.5 - little EPA
8 205 9 EPA to pursue. Problems - few long-term monitors
9 205 18 intuitive results. EPA should investigate this
10 205 22 as is done with CALPUFF. EPA should develop a
11 206 12 Paine provided EPA (in October 2007) with several
12 206 16 Enhanced debugging output. EPA should make these
13 208 17 your needs. About EPA concerns about CALPUFF and
14 208 18 EPA controlling the model developing coding and
15 209 13 EPA concerns about CALPUFF are relatively
16 209 14 unfounded. EPA's concern about near field
17 209 18 Substantial resources from EPA will be needed to
18 209 22 EPA doesn't have direct control of CALPUFF and
19 209 23 there are some advantages to that. EPA does have
20 210 6 advancing CALPUFF and will work to that end. EPA
21 210 8 and there are some disadvantages. EPA has not
22 210 10 updates that EPA wants, but the developer is
23 210 11 willing to do this. As a result EPA says that
24 210 15 the EPA approval for the code. There are code
25 210 16 changes made without EPA oversight and funding
26 210 17 that requires EPA review. What is needed is for
27 210 18 EPA to review the code changes that are
28 210 20 EPA and TRC to keep the string going of improving
29 212 25 participated in all of the EPA modeling
30 213 10 guideline and how EPA interprets it and applies
31 213 14 EPA's September 25th federal registry notice
32 213 17 that EPA is planning to make to the Modeling
33 214 2 EPA is planning. If EPA wants meaningful
34 214 6 made. It's not sufficient for EPA to place a
35 214 10 meeting. Rather, EPA must publish notice of
36 214 19 outdated portion of the modeling guideline, EPA
37 214 23 lightly out of EPA. There are instances where it
38 214 25 Preceding this conference, EPA posted
39 215 5 to get approval for the use of non EPA preferred
40 215 6 models. EPA's new procedures will uniformly make
41 215 8 preferred models or EPA developed models.
42 215 16 of comment, EPA has concluded in its guidance
43 216 6 UARG believes that the EPA's recently posted
44 216 20 use of any models other than EPA preferred or EPA
45 216 24 EPA to use informal guidance documents to make
46 217 8 of changes to fix bugs and problems, both EPA
47 217 14 For years EPA has done an admirable job in
48 217 16 particular EPA has made timely fixes to their
49 217 19 founded fixes, EPA has a history of approving and
50 217 22 EPA review of implementation fixes for identified

2

3 Page Ref No. Keyword = "epa"

4 _____

5

6 217 25 a year in EPA's consideration and approval of
 7 218 4 has identified in AERMOD. URAG encourages EPA to
 8 218 25 a surrogate. But now with the EPA delegated
 9 219 5 So we urge EPA to take the time and
 10 220 3 5.U.S. EPA AQM models: lessons learned
 11 220 9 are developed by the U.S. EPA (and contractors).
 12 220 24 help and leadership. Does the U.S. EPA have a
 13 222 17 compilers typically used by the U.S. EPA (using
 14 222 18 EPA code for CMAQ and AERMOD). SlowSpotter™
 15 224 9 Next Steps: U.S. EPA needs to show
 16 224 24 sponsored or funded by the U.S. EPA. Further
 17 225 6 development at the EPA and also the decision to

18

19 Page Ref No. Keyword = "ETA"

20 _____

21

22 23 19 MM5 like ETA PBL and NOAH LSM. We're not

23

24 Page Ref No. Keyword = "Federal"

25 _____

26

27 40 17 distributed these results to the Federal Land
 28 41 17 submitted to the Federal Land Managers?
 29 119 3 part of his Ph.D thesis at the Swiss Federal
 30 212 22 proceedings under the federal Clean Air Act.
 31 213 14 EPA's September 25th federal registry notice
 32 213 24 the September 25 Federal Register notice provides
 33 214 11 these proceedings in the Federal Register at

34

35 Page Ref No. Keyword = "fence line"

36 _____

37

38 76 10 to the fence line being compared to
 39 88 7 impacts on the fence line are three or four
 40 146 9 talking about fence line impacts, we're talking

41

42 Page Ref No. Keyword = "file"

43 _____

44

45 56 17 file so it's easily imported into EXCEL. Spatial
 46 185 21 process already tested Grib ==> Grid ==> Text File
 47 208 10 find it for you. I can't open this file.
 48 226 7 ways for extracting data from MM5 and WRF file

2

3 Page Ref No. Keyword = "files"

4 _____

5

6 44 12 files at the same resolutions so I basically
 7 101 3 Shape files, or Google Earth (kml), distribution:
 8 195 23 get to the (inaudible) files and not to the
 9 205 24 translate AERMOD conc. files to CALPUFF-like
 10 205 25 files. TRC may have a draft code that can do

11

12 Page Ref No. Keyword = "FLEXPART"

13 _____

14

15 20 22 called FLEXPART that's widely distributed
 16 22 17 CALPUFF, FLEXPART and HYSPLIT and basically, what
 17 32 2 This is just a snap shot of the FLEXPART
 18 33 2 of it. All three models CALPUFF, FLEXPART and
 19 34 10 detected. So as you can see FLEXPART has a high
 20 94 25 HYSPLIT, FLEXPART), Computational Fluid Dynamics
 21 95 19 met model linked to FLEXPART. We are using it as
 22 95 21 Lagrangian particle model called FLEXPART. We

23

24 Page Ref No. Keyword = "gridded"

25 _____

26

27 51 16 an entire gridded data set. We're just using
 28 62 25 gridded met evaluation.
 29 70 19 gridded meteorological data. It's almost like a
 30 70 22 analysis the gridded met data. There be may be
 31 72 3 for the evaluation of the gridded met data. That
 32 76 5 concentration of AERMOD across the gridded
 33 101 11 to gridded meteorological data. Based on the
 34 101 17 that a gridded meteorological model might be
 35 114 17 gridded data so when we were doing later
 36 130 17 gridded approach will typically overestimate
 37 155 15 whether it's a gridded wind field or (inaudible).
 38 184 8 the gridded data and put it in a text format.
 39 195 5 presentation about the use of gridded
 40 196 23 Evaluate gridded meteorological data performance

41

42 Page Ref No. Keyword = "group"

43 _____

44

45 51 19 this group will do and I'll get into that in a
 46 65 17 independent variable where we have group
 47 65 24 each group. For example, the significant points
 48 69 7 you do that is group them in regimes of similar
 49 145 12 This is just another group of sources
 50 146 14 more of a slide for another group since this

2

3 Page Ref No. Keyword = "group"

4 _____

5

6 146 15 group knows the guidelines and the guidance.
 7 149 16 Texas Group BART application. CAMx 36/12 km with
 8 150 6 decided to do group analysis and run them in
 9 180 6 stakeholder group to develop guidelines for
 10 186 11 review group, enter comment areas, and offer
 11 186 15 application group who are still at this meeting.
 12 187 7 group here, myself and all of the people have
 13 194 12 summaries by Snyder and some of the group at the
 14 210 5 AWMA supports an independent work group for
 15 212 17 Air Regulatory Group (UARG). UARG is an ad hoc
 16 212 18 group of public and private electric utility

17

18 Page Ref No. Keyword = "groups"

19 _____

20

21 54 3 simulations for other groups. One group, in
 22 54 6 other groups doing it. We're always trying to
 23 54 9 analysis among different groups. And then it's
 24 139 8 single emissions sources or groups of emissions
 25 140 6 contributions from emissions source groups,
 26 146 8 source or groups of sources impacts. We're not
 27 150 7 groups of 10. In each group Bart analysis of 10
 28 150 9 contributions of groups of Texas BART sources for
 29 202 15 databases. Certain industry groups have also

30

31 Page Ref No. Keyword = "guidance"

32 _____

33

34 8 14 evaluations and reflect that in our guidance.
 35 8 16 the update of the IWAQM and Phase 2 guidance is
 36 8 18 these evaluations to update that guidance.
 37 14 13 reflected in the EPA long range guidance.
 38 14 20 guidance which are not reflected in current
 39 14 21 guidance. So we initiated this long range
 40 17 6 to updating existing EPA LRT modeling guidance
 41 17 9 From the guidance goals basically what we said
 42 17 12 enhancements to model system in updated guidance
 43 18 3 The next question is can guidance migrate to
 44 39 8 Scire or EPA. There is guidance for grid spacing
 45 46 12 interpretation of guidance or decision in a
 46 85 22 of guidance or recommendations something from the
 47 85 23 implementation guidance is the SEARCH tank.
 48 87 8 in terms of providing better guidance. And how
 49 87 25 as far as impacts go, with no clear guidance on
 50 88 18 need to updated guidance or recommendations

2

3 Page Ref No. Keyword = "guidance"

4

5

6	91	5	guidance, there seems to be suggestions that you
7	91	14	To come up with the EPA guidance, I think it
8	91	16	guidance with limited understanding of issues.
9	91	25	conform guidance. Guidance to lead at a starting
10	92	5	guidance. So we need input from you all about
11	92	21	up with the type of guidance you need.
12	146	15	group knows the guidelines and the guidance.
13	156	8	for EPA. Basically Appendix W Guidance on
14	159	10	general concern that API has more EPA Guidance
15	165	22	Based on EPA guidance, EPA limits the
16	166	5	guidance is needed for translating the airport
17	166	11	We'd like to see better guidance for translating
18	168	12	Need to update and improve model guidance
19	169	5	guidance, it's just that and sometimes it's
20	169	10	But guidance is just that, guidance. Second
21	169	11	point is that guidance we provide is only as
22	169	15	issues here, guidance has to have a basis
23	170	14	type of guidance that is needed. Providing
24	170	15	guidance that is just complained about and
25	170	17	better together that we can provide guidance
26	170	22	EPA guidance.
27	188	15	some guidance on this. That's all I have right
28	189	19	EBD guidance provided in Tikvart July 1994
29	190	5	procedure and more guidance needed. Roger
30	194	22	needed, update guidance on use of EBD in place of
31	198	22	precursors, modeling techniques - guidance,
32	200	22	Retrofit Technology implementation guidance, PM2.5
33	202	2	PM2.5 Regulations and Guidance - Unresolved
34	203	24	guidance, PSD increments and modeling procedures.
35	206	6	guidance provide further implementation guidance
36	207	19	artificially too low? Guidance needed on use of
37	214	20	is moving toward using informal guidance to try
38	214	22	today, I understand guidance does not come
39	215	2	on its web site several guidance memoranda that
40	215	9	For example, the August 13 guidance
41	215	16	of comment, EPA has concluded in its guidance
42	215	23	standards, the August 13th guidance document
43	216	7	guidance memoranda have placed unfair burdens on
44	216	15	The recent guidance document, (I apologize if I
45	216	24	EPA to use informal guidance documents to make
46	218	12	a decade but we still have very little guidance
47	218	21	permitting there's no clear guidance on the
48	219	3	modeling and we still have no guidance on how to

2

3 Page Ref No. Keyword = "guide"

4 _____

5

6 59 13 users guide included which we have gotten good
7 88 19 for...there's a table in the ISC users guide and in
8 88 20 the AERMOD users guide in terms of defining
9 109 24 want to turn that on. Refer to the guide for
10 118 9 completely revised user's guide with examples but
11 146 15 group knows the guidelines and the guidance.
12 147 7 Current guideline models have no (AERMOD) or
13 158 23 issues relating to aspects of the EPA's Guideline
14 167 24 in the context of the guidelines, but it would be
15 171 12 guideline models was to take a model and
16 180 6 stakeholder group to develop guidelines for
17 207 21 Guideline on Air Quality Models is right, a calm
18 208 21 modeling for the guideline purposes require air
19 210 13 last users guide was released 2006. We have a
20 210 14 new users guide for Version 6 and all we need is
21 213 4 revisions of Appendix W Guideline. The Modeling
22 213 5 Guideline is used for several purposes, including
23 213 10 guideline and how EPA interprets it and applies
24 213 18 Guidelines to Appendix W. So our comments are
25 214 19 outdated portion of the modeling guideline, EPA
26 216 17 this), removes the Guideline's promise of

27

28 Page Ref No. Keyword = "guideline"

29 _____

30

31 147 7 Current guideline models have no (AERMOD) or
32 158 23 issues relating to aspects of the EPA's Guideline
33 171 12 guideline models was to take a model and
34 207 21 Guideline on Air Quality Models is right, a calm
35 208 21 modeling for the guideline purposes require air
36 213 4 revisions of Appendix W Guideline. The Modeling
37 213 5 Guideline is used for several purposes, including
38 213 10 guideline and how EPA interprets it and applies
39 214 19 outdated portion of the modeling guideline, EPA
40 216 17 this), removes the Guideline's promise of

41

42 Page Ref No. Keyword = "guidelines"

43 _____

44

45 146 15 group knows the guidelines and the guidance.
46 167 24 in the context of the guidelines, but it would be
47 180 6 stakeholder group to develop guidelines for
48 213 18 Guidelines to Appendix W. So our comments are

2

3 Page Ref No. Keyword = "humidity"

4 _____

5

6 173 20 4) Relative Humidity (surrogate for
 7 174 5 surface relative humidity (RH). In reality,
 8 197 14 structure, temperature & relative humidity,

9

10 Page Ref No. Keyword = "implement"

11 _____

12

13 37 24 respect to the science and implementation within
 14 85 23 implementation guidance is the SEARCH tank.
 15 122 8 The way this is implemented into CALPUFF are
 16 131 5 mercury in the model. The implementation of
 17 139 11 have been implemented in photochemical models
 18 140 16 CAMx has particulate apportionment implemented
 19 141 8 apportionment that has been implemented in CAMx
 20 145 23 Implementation Plans so they do have regulatory
 21 156 25 implementation rules lacking in terms of
 22 198 21 implementation, emission inventories - direct and
 23 200 22 Retrofit Technology implementation guidance, PM2.5
 24 200 23 NSR implementation rule, PM2.5 PSD SILs, SMCs, and
 25 203 20 is necessary to implement reasonable PM2.5 impact
 26 206 4 implementation guides but in the 2004 addendum -
 27 206 6 guidance provide further implementation guidance
 28 206 19 Issues with AERSURFACE implementation.
 29 217 22 EPA review of implementation fixes for identified

30

31 Page Ref No. Keyword = "implementation"

32 _____

33

34 37 24 respect to the science and implementation within
 35 85 23 implementation guidance is the SEARCH tank.
 36 131 5 mercury in the model. The implementation of
 37 145 23 Implementation Plans so they do have regulatory
 38 156 25 implementation rules lacking in terms of
 39 198 21 implementation, emission inventories - direct and
 40 200 22 Retrofit Technology implementation guidance, PM2.5
 41 200 23 NSR implementation rule, PM2.5 PSD SILs, SMCs, and
 42 206 4 implementation guides but in the 2004 addendum -
 43 206 6 guidance provide further implementation guidance
 44 206 19 Issues with AERSURFACE implementation.
 45 217 22 EPA review of implementation fixes for identified

2

3 Page Ref No. Keyword = "ISC"

4 _____

5

6 88 19 for...there's a table in the ISC users guide and in

7 204 11 AERMOD. It does things ISC3 could never do. I

8

9 Page Ref No. Keyword = "IWAQM"

10 _____

11

12 8 16 the update of the IWAQM and Phase 2 guidance is

13 14 8 significantly and the IWAQM Phase 2

14 19 18 IWAQM Phase 2 there's talk about project MOHAVE

15 163 12 science approach as opposed to IWAQM mandates.

16 173 10 values. Outdated and prescriptive IWAQM

17 175 22 the IWAQM protocol, has a substantial bias

18

19 Page Ref No. Keyword = "Lagrangian"

20 _____

21

22 20 19 did was to include the two Lagrangian particle

23 34 16 final ranking overall. This is the Lagrangian

24 94 24 SCIPUFF), Lagrangian Particle Models (KSP,

25 95 21 Lagrangian particle model called FLEXPART. We

26 97 3 Lagrangian Integrated Trajectory model. I try

27 97 16 lagrangian model. Basically the difference in

28 98 4 The lagrangian approach we're computing the

29 100 11 modules use a hybrid Lagrangian-Eulerian

30 100 20 transport in a lagrangian framework. The

31 102 17 you're running the lagrangian model for all the

32 102 24 that with Lagrangian plume model. From that

33 120 7 variability in dispersion rates, etc. Lagrangian

34 121 11 a full stochastic Lagrangian particle dispersion

35 124 17 Lagrangian particle dispersion model (LPFM)

36 208 24 We need a 3-D Lagrangian model for

37 211 14 make it a Lagrangian model. Another issue is

38

39 Page Ref No. Keyword = "layer"

40 _____

41

42 31 6 ran a 43 vertical layer and I think I transpose

43 84 5 boundary layer enhancement is certainly helping

44 99 14 (surface layer) similarity, BL, Ri, or TKE. The

45 104 6 represent the boundary layer transport. It looks

46 104 8 varies with height in the boundary layer.

47 104 17 effect. That is a big thing for boundary layer

48 105 21 boundary layer as there is a lot more shear with

49 216 4 already takes 2 or 3 years. One more layer is

2

3 Page Ref No. Keyword = "layers"

4 _____

5

6 31 7 my numbers so I think it was 43 layers instead of
 7 118 6 map background layers for graphical display (pc);
 8 150 18 w/ 6 CPUs, 19 Vertical Layers, M3Dry, CBM-

9

10 Page Ref No. Keyword = "long range transport"

11 _____

12

13 6 8 Bret take his evaluation of Long Range Transport
 14 7 3 long range transport models that we were looking
 15 8 2 evaluation of long range transport models.
 16 38 18 in these models and the long range transport
 17 38 23 terms of addressing long range transport in the
 18 93 3 introductory on the Long Range Transport

19

20 Page Ref No. Keyword = "mesoscale"

21 _____

22

23 8 4 mesoscale tracer studies but there is no one
 24 21 14 the Great Plains Mesoscale Tracer Experiment.
 25 163 17 is much current mesoscale and regional modeling
 26 168 18 Conduct a Mesoscale/Regional collaborative model

27

28 Page Ref No. Keyword = "met"

29 _____

30

31 6 21 talk about the methods and metrics that were used
 32 6 25 explanation of the methodology that we were
 33 7 25 meteorological and tracer databases for
 34 8 6 was to assemble an archive of both meteorological
 35 8 9 objective method for evaluating long range
 36 8 19 There were several methods I think I'm a
 37 9 4 I called them the Irwin methodology. They focus
 38 9 6 were the methods that were used for that
 39 9 7 particular study. That was one method we used to
 40 9 10 In addition to the Irwin methodology, we did
 41 9 14 methodology and kind of how I have it broken out
 42 10 5 maximum concentrations on that arch. That method
 43 12 8 Then for spatial statistics the metric
 44 12 10 and then we've added additional EPA metrics, the
 45 12 14 on the NOAA webs site introduced a final metric
 46 13 22 study. That is the evaluation methodology used
 47 14 25 meteorological database for use with LRT model
 48 15 4 we have an archive of the meteorology so we'll
 49 16 12 meteorological you supply it with. So another
 50 16 18 with meteorology. So that's going to be the

2			
3	Page	Ref No.	Keyword = "met"
4	_____	_____	_____
5			
6	16	20	both meteorological aspects of it and the LRT
7	16	23	and testing the meteorological LRT models for the
8	16	25	you're exercising and testing meteorological and
9	17	4	measures and results from meteorological and LRT
10	18	13	to supply meteorological data to CALPUFF? As you
11	18	18	see how best to apply the meteorology to it
12	18	20	in CALMET. Perhaps Hybrid method verses NOOB = 1
13	21	2	to take the meteorological data from MM5 and
14	21	10	were the different methods the evaluation
15	21	11	methods.
16	22	2	the (inaudible) meteorology because this
17	22	10	750 meters up in the air and the height in the
18	22	18	we did with CALMET meteorology we looked at
19	24	5	use for meteorological model evaluation.
20	24	7	and these are from the Irwin methodology and want
21	27	11	Euro methodologies. As you can see, this is
22	28	24	meteorological perspective you don't want to be
23	31	25	same meteorological data.
24	35	17	EPA in 1997 despite using same raw meteorological
25	36	8	meteorology is supplied to the model. Joe
26	37	8	meteorological metrics and the LRT metrics. The
27	42	19	meter resolution. The reason I didn't sign off
28	43	5	to 1,000 meters and provide that to EPA, the FLMS
29	44	13	flattened the terrain so that is was 1 meter
30	47	8	appropriate evaluation methods. The focus and
31	47	12	the emissions meteorology and underlying modeling
32	50	11	mentioned its one thing to talk about methods and
33	50	25	modules. One that focuses on meteorology in this
34	51	13	to compare observations against meteorological
35	51	23	essentially the meteorology works the same with
36	52	19	statistical metrics. Diurnal Statistics, Time
37	52	25	type of analysis. The difference with the met
38	53	4	the MM5 or WRF and here it's a meta data set that
39	53	21	sites, you can do it by pretty much any met data
40	54	12	available on the met side and I'll show some
41	54	13	examples of these. There's a met model
42	54	18	to the met side includes Rawindsonde, Wind
43	54	22	met side. You see here this one is for
44	55	2	performance summary statistics, metric across
45	55	13	pretty much any meteorological metric you have
46	57	8	showed on the met side. Implied statistics
47	58	7	metrics are some Bugle Plots where it includes
48	59	2	can be used outside of data met. There are
49	59	7	plots or use these plots outside of the met
50	59	11	This a script based version both the Met and AQ

2

3 Page Ref No. Keyword = "met"

4 _____

5

6	59	19	the Met and AQ versions separately. Includes
7	60	13	what met data you put in you can use as a query
8	62	25	gridded met evaluation.
9	63	22	number of meteorological conditions and seasons,
10	66	19	Method would be use of the RHC statistic, re-
11	67	14	the features of the Cox-Tikvart method.
12	68	2	Some of the performance metrics in the BOOT
13	70	19	gridded meteorological data. It's almost like a
14	70	21	meteorological tower. We need to thoroughly
15	70	22	analysis the gridded met data. There be may be
16	70	23	situations with poor met performance (e.g.,
17	71	3	meteorological data.
18	71	11	dispersion. The use of better meteorology got
19	71	21	example private industrial met towers for which
20	72	3	for the evaluation of the gridded met data. That
21	72	8	typical Cox/Tixvart evaluation methods that are
22	75	13	and the SEARCH met data. The model seemed to be
23	76	15	which would be typical of a met tower at an
24	78	16	compared with met SEARCH site and airport site to
25	81	17	process SEARCH met data as more representative of
26	81	20	Ozone Limiting Method to better account for NO to
27	83	12	AERSURFACE pretty high roughness about 0.8 meters
28	83	13	0.7 meters verses concentration process with the
29	83	20	But interestingly enough the met data that
30	84	23	met data resulted in selection of another nearby
31	85	15	up. The monitor was kind of within 100 meters
32	86	11	different met data and different source
33	86	18	Hybrid met data about 5.96 so we're getting
34	90	11	metric concentration really captured the plume
35	95	19	met model linked to FLEXPART. We are using it as
36	97	11	method; how to simulate plume dispersion, how to
37	98	21	calculations in the meteorology for each source.
38	99	3	The meteorology is external and its offline and
39	99	8	As far as getting the meteorology from
40	99	25	simultaneous meteorology and concentration grids.
41	100	8	As far as meteorology we support latitude-
42	100	10	the meteorology. Now the non-linear chemistry
43	101	11	to gridded meteorological data. Based on the
44	101	13	could do a better job using meteorological data
45	101	17	that a gridded meteorological model might be
46	101	19	you have on site meteorology. But for these
47	103	15	It goes back to a 1935 meteorology book and it a
48	105	17	hybrid method always puts the particle in the
49	109	23	method which goes back to the Models-3 if you
50	111	3	boundaries and the meteorological model has

2

3 Page Ref No. Keyword = "met"

4 _____

5

6 111 14 micrograms per cubic meter, contributed from that

7 114 14 one of them had different meteorological data

8 114 23 have a consistent meteorological database that is

9 114 24 available and we can use modeling methods and we

10 115 4 that are consistent using the same meteorology.

11 115 10 months or 2 years worth like in METREX. So

12 116 13 METREX (t1)

13 116 18 METREX (t2)

14 118 7 model physics ensemble (pc/unix); meteorology and

15 120 4 meteorological and dispersion conditions,

16 136 11 will use the same emissions input, meteorological

17 137 10 chemistry and transport and meteorology inputs to

18 142 6 Just comparing that back to a very simple metric

19 142 8 screening metric states they obviously agree with

20 144 4 meteorology output from MM5. CALPUFF was run in

21 145 18 Apportionment methodology. These models have the

22 148 7 met and emission inputs and full chemistry Plume-

23 148 20 are larger. Interpolate meteorology, emissions

24 152 5 point sources and circles are (inaudible) method

25 156 13 conference is to introduce these types of methods

26 159 22 meteorological data and land use variations. Can

27 160 8 of meteorological drivers (e.g., diagnostic

28 160 12 CALPUFF, CMAQ). Prognostic meteorological models

29 160 17 this including DTRA and NOAA who have linked MET

30 160 21 needed is to optimize use of Met model and CALMET

31 160 24 physics Met models (e.g. MM5) and CALMET; look at

32 161 4 different topographic and meteorological

33 161 10 performance of Met models coupled with dispersion

34 161 12 new field experiments to determine how met

35 161 14 Met models? (e.g. note differences between NCAR

36 161 15 and Penn State MM5 Met model data assimilation

37 161 16 methods). We'd like to assess if CALMET (or any

38 161 18 intermediate step between the Met model and the

39 161 20 NOAA) who have operational Met model-AQM systems

40 161 24 Met models coupled with dispersion models vs.

41 162 2 experiments. Determine how met observations can

42 162 3 best be used and assimilated in Met models? (e.g.

43 162 5 Met model data assimilation methods). Assess if

44 162 7 as an intermediate step between the Met model and

45 162 10 operational Met model-AQM systems operating and

46 163 5 heavily on default values. Need to resolve met

47 163 6 input questions (CALMET or Met model such as MM5

48 163 7 - see previous slides on Met inputs). Need to

49 163 15 of Met models and air quality models in

50 163 20 and stakeholders. Include meteorological

2

3 Page Ref No. Keyword = "met"

4 _____

5

6 163 23 km by 200 km, sufficient to test the use of Met
7 164 20 priority performance methods.
8 164 21 The bootstrap method was talked about this
9 166 16 output should summarize the processed met data so
10 167 15 physical understanding of meteorological
11 168 17 meteorological models to drive dispersion models.
12 172 18 peer-reviewed science and methodology over
13 173 11 methodology is required for model
14 179 25 include the widespread use of meteorological
15 180 7 the use of meteorological models in air
16 180 10 needs to address are: Which meteorological
17 180 12 should meteorological monitoring sites be
18 180 14 criteria? Meteorological model accuracy is
19 180 25 meteorological input in AERMOD and AERMET.
20 181 4 meteorological input into AERMOD. So that's
21 184 7 You know I've got a method that I can extract
22 186 9 so called AB3 Committee of meteorological and
23 187 15 meteorology inputs. I know you can read but
24 190 2 location is also a variable and new methods may
25 191 14 for the input. That's 17 meter high building, H
26 192 6 the five sources. 1 year met data kind of a
27 193 5 shapes. 39 meters high, 1 to 1 and 1 to 4. The
28 194 6 A method should be developed to determine when
29 194 8 We're saying that a method should be
30 194 24 the corner vortex situation. Develop method for
31 195 6 meteorological data on the air quality model which
32 195 10 model options and Metric for evaluating success.
33 196 16 Meteorological evaluation software is very close
34 196 20 The other thing is producing met data sets
35 196 23 Evaluate gridded meteorological data performance
36 197 2 dispersion model to met database. Separately
37 197 11 Evaluate all meteorological variables. Wind
38 198 9 observed met results. Evaluate results under
39 200 10 Method 5. Existing reference methods for
40 200 12 underway to propose more reliable methods. EPA
41 200 14 measurement methods - sulfates can be
42 202 22 factors are based on stack test methods known to
43 206 23 mismatch in surface type between met tower and
44 207 8 for met and application site surface
45 207 20 recent met data. If my interpretation of the
46 211 7 method to define precisely when complex winds
47 226 22 profiles with data collected on met towers. And

2

3 Page Ref No. Keyword = "meteorological"

4

5

6	7	25	meteorological and tracer databases for
7	8	6	was to assemble an archive of both meteorological
8	14	25	meteorological database for use with LRT model
9	16	12	meteorological you supply it with. So another
10	16	20	both meteorological aspects of it and the LRT
11	16	23	and testing the meteorological LRT models for the
12	16	25	you're exercising and testing meteorological and
13	17	4	measures and results from meteorological and LRT
14	18	13	to supply meteorological data to CALPUFF? As you
15	21	2	to take the meteorological data from MM5 and
16	24	5	use for meteorological model evaluation.
17	28	24	meteorological perspective you don't want to be
18	31	25	same meteorological data.
19	35	17	EPA in 1997 despite using same raw meteorological
20	37	8	meteorological metrics and the LRT metrics. The
21	51	13	to compare observations against meteorological
22	55	13	pretty much any meteorological metric you have
23	63	22	number of meteorological conditions and seasons,
24	70	19	gridded meteorological data. It's almost like a
25	70	21	meteorological tower. We need to thoroughly
26	71	3	meteorological data.
27	101	11	to gridded meteorological data. Based on the
28	101	13	could do a better job using meteorological data
29	101	17	that a gridded meteorological model might be
30	111	3	boundaries and the meteorological model has
31	114	14	one of them had different meteorological data
32	114	23	have a consistent meteorological database that is
33	120	4	meteorological and dispersion conditions,
34	136	11	will use the same emissions input, meteorological
35	159	22	meteorological data and land use variations. Can
36	160	8	of meteorological drivers (e.g., diagnostic
37	160	12	CALPUFF, CMAQ). Prognostic meteorological models
38	161	4	different topographic and meteorological
39	163	20	and stakeholders. Include meteorological
40	167	15	physical understanding of meteorological
41	168	17	meteorological models to drive dispersion models.
42	179	25	include the widespread use of meteorological
43	180	7	the use of meteorological models in air
44	180	10	needs to address are: Which meteorological
45	180	12	should meteorological monitoring sites be
46	180	14	criteria? Meteorological model accuracy is
47	180	25	meteorological input in AERMOD and AERMET.
48	186	9	so called AB3 Committee of meteorological and
49	196	16	Meteorological evaluation software is very close
50	196	23	Evaluate gridded meteorological data performance

2

3 Page Ref No. Keyword = "meteorological"

4 _____

5

6 197 11 Evaluate all meteorological variables. Wind

7

8 Page Ref No. Keyword = "mixing"

9 _____

10

11 36 22 at puff-splitting (eliminating mixing height
 12 55 12 mixing ratio, wind speed, wind direction, but
 13 99 13 next thing is vertical mixing based upon SL
 14 99 15 horizontal mixing based upon velocity
 15 99 16 deformation, SL similarity, or TKE. Mixing
 16 101 10 (on/off) mixing. Later we basically we switched
 17 205 12 Nocturnal urban mixing height (Ziu) is a

18

19 Page Ref No. Keyword = "MM5"

20 _____

21

22 15 5 have the MM5 data that was run up there and have
 23 21 2 to take the meteorological data from MM5 and
 24 22 7 MM5 simulation performed with this. What you can
 25 22 21 gave yesterday, we also included the MM5 CALPUFF
 26 23 16 This is the MM5 configuration and I'll skip
 27 23 19 MM5 like ETA PBL and NOAH LSM. We're not
 28 23 23 validate the MM5 data and that's something we
 29 24 11 Both put in MM5 CALPUFF within the CALMET one
 30 25 16 better than the MM5 winds in terms of the arrival
 31 25 18 (inaudible) it. The MM5 had a slight delay of
 32 26 6 good job. MM5 is (inaudible) arrived late and
 33 27 2 is that when we were feeding the MM5 only winds
 34 27 12 where the MM5 winds did markedly better than
 35 27 16 where it should have been and the MM5 was like
 36 27 20 the MM5 winds were doing slightly better, but you
 37 27 21 can see the MM5 winds have it displaced more
 38 28 6 to what the MM5 was looking at like the MM5 was a
 39 28 8 encouraging sign for the MM5 CALPUFF.
 40 29 12 For the MM5 CALPUFF, as you can see, it
 41 31 3 MM5 is run again and was initialized with
 42 31 20 with the MM5 and there's no CALMET in this
 43 31 21 simulation. It's only MM5 CALPUFF so basically
 44 31 23 help with (inaudible) MM5. Basically we're
 45 35 13 MM5 results were better for azimuth, but worse
 46 50 22 and MM5 but it can be extended to other
 47 51 2 case typically MM5 or WRF and one focuses on air
 48 51 14 (e.g. MM5, WRF) or air quality model (e.g. CMAQ,
 49 53 4 the MM5 or WRF and here it's a meta data set that
 50 70 20 new concept do we trust MM5 data instead of a

2

3 Page Ref No. Keyword = "mm5"

4 _____

5

6 95 18 is (sorry) and about fire emissions model and MM5
7 99 10 ECMWF, RAMS, MM5, NMM, GFS and so on. It's not
8 144 4 meteorology output from MM5. CALPUFF was run in
9 147 20 Databases more costly to develop. MM5/WRF
10 156 3 wind fields that come out of MM5.
11 160 10 models such as MM5) for both steady state and
12 160 13 such as MM5 and WRF (often called 'Met models')
13 160 18 models with MM5 and WRF and the Puff models.
14 160 24 physics Met models (e.g. MM5) and CALMET; look at
15 161 5 settings; minimum grid size (Penn State MM5
16 161 15 and Penn State MM5 Met model data assimilation
17 162 4 note differences between NCAR and Penn State MM5
18 163 6 input questions (CALMET or Met model such as MM5
19 163 24 model (e.g., MM5) direct input versus CALMET
20 180 3 requires: The accuracy of MM5/CALMET model
21 195 13 a converter for MM5 and one of the things was
22 195 19 the use to concert MM5 data and WRF and
23 196 14 output of MM5 converted to wind rose software.
24 197 22 The reason why the MM5 simulations can't deal
25 226 7 ways for extracting data from MM5 and WRF file

26

27 Page Ref No. Keyword = "model"

28 _____

29

30 6 12 model evaluation session right after that.
31 7 10 modeling so we use non steady state (inaudible)
32 7 11 puff model, particle model for these types of
33 7 14 visibility (inaudible) modeling. As such as Joe
34 7 19 and time considerations of the LRT model use. As
35 9 12 upon spatiotemporal comparisons of model-
36 9 20 the model's ability to correctly predict the
37 11 8 the model is doing. This is just an example on
38 12 2 distributions of the model predictions. So this
39 12 15 which is basically a model success story, a model
40 12 18 model score to see how well it did across each of
41 12 20 This is just the model ranking and you can
42 13 2 allows to give you an idea how the model performs
43 13 4 for direct modeling or comparison because you
44 13 10 particle model that we evaluated as part of this
45 13 12 model; this is a European tracer experiment and I
46 13 18 correlation of bias and the final model rating
47 13 21 the model performed in that particular tracer
48 14 6 the 8th Modeling Conference - EPA recognized the
49 14 7 fact that CALPUFF model science had evolved
50 14 17 need to form an updated model performance

2

3 Page Ref No. Keyword = "model"

4

5

6	14	19	model which are not mentioned in the current
7	14	22	modeling project and they said we are performing
8	14	25	meteorological database for use with LRT model
9	16	9	point yesterday about you know this is a modeling
10	16	11	model can only perform as well as the
11	16	16	at it as a coupled system. The model's ability
12	16	21	model aspects of it.
13	17	3	provide full documentation of model evaluation
14	17	6	to updating existing EPA LRT modeling guidance
15	17	11	modeling system to incorporate recent
16	17	12	enhancements to model system in updated guidance
17	17	15	8th Modeling Conference that talk about these
18	17	18	200-300 km? At the 7th Modeling Conference, EPA's
19	18	6	mentioned, back in 2006, EPA issued a Model
20	18	14	know, it is like any other transport model and it
21	20	8	is how well any model can do in any one of these
22	20	9	situations. It isn't fair to isolate one model
23	20	16	understand how well can any model reasonably do
24	21	3	apply to this model.
25	21	8	understand how any model can reasonably do under
26	22	3	influences the performance of the model.
27	22	16	the model experimental design was to look at
28	24	5	use for meteorological model evaluation.
29	30	11	develop a database which could be used for model
30	31	14	shows how well one model does and how bad one
31	34	3	the model observed it had the best of spatial
32	34	17	part of the model it didn't do much better in
33	36	8	meteorology is supplied to the model. Joe
34	36	10	how you apply the model and that's one of the
35	36	24	not augment model performance. We had puffs
36	37	6	work-in-progress. We have a model evaluation
37	37	11	engage with model developer to help us understand
38	37	13	model setup? What can we do better?
39	37	14	Has the model changed since the previous
40	37	25	the model and will fully document that. What we
41	38	3	this is to conduct a peer review of the model and
42	39	16	factors that can influence how the model responds
43	47	3	Going back to the 8th Modeling Conference, we
44	47	10	in the modeling system understanding that
45	47	11	emphasis on modeling systems, recognizing that
46	47	12	the emissions meteorology and underlying modeling
47	48	3	for model evaluation. This one refers to the
48	48	4	community multi scale air quality model from the
49	48	6	Development. Basically you're looking at a model
50	49	11	standpoint and the model standpoint to see

2

3 Page Ref No. Keyword = "model"

4

5

6 49 18 sure we feed that back in to the model. This
7 50 14 to deliver the atmospheric model evaluation tool
8 50 18 modeling division in ORD here at EPA. And as
9 50 24 Model Evaluation Tool (AMET) consists of two
10 51 14 (e.g. MM5, WRF) or air quality model (e.g. CMAQ,
11 51 17 paired model observation sets which are actually
12 51 25 observations and then model output. These are
13 52 8 jus populating the database with model
14 52 16 will get in to some of those. For example, model
15 53 3 different set of model output. Instead here of
16 54 13 examples of these. There's a met model
17 54 20 This is an example of a model performance
18 54 25 plots and statistics scatter plot, model
19 55 4 showing the distribution of the model. This is a
20 56 15 model observation, model to model, summary
21 57 2 included model to model (inaudible) single
22 57 11 model observed, the bias between the model
23 57 15 also include another model data so you could
24 57 16 compare two model runs and see how they compare.
25 57 23 comparing with the model like CMAQ. But it shows
26 58 13 have any set of model predictions in time and
27 58 17 using CMAQ or CMAx or a model like that, if you
28 58 19 that includes a model of and some space and time
29 61 24 be continuing to develop model evaluation tools
30 62 16 for short range modeling evaluations the somewhat
31 65 11 indicate where it's closer to this model. In the
32 65 14 Other types of tools are the plotted model
33 66 2 98th percentiles. A good model should have no
34 66 3 trend in model residuals.
35 66 4 This is a poor model example where you can
36 66 7 see that, you see the model has some bias due to
37 66 10 model does have a possible problem. These are
38 66 16 of zero is a perfect model, while an FB of +/-
39 66 24 averaging times. The model comparison measure
40 67 9 the lower the score, the better the model. If
41 67 10 the the model comparison measure straddles zero,
42 67 21 within Atmospheric Dispersion Modelling for
43 67 22 Regulatory Purposes - Model Validation Kit. It is
44 68 12 is on the Y-AXIS, so a perfect model is as low as
45 69 2 ensemble, while model predictions often represent
46 70 25 dispersion modeling are how often are the winds
47 71 9 North Dakota, we found that the EPA model missed
48 72 22 the model in a more robust evaluation. This is
49 73 14 model performance to increase in the future and
50 73 18 regulatory model evaluation this is prairie grass

2

3 Page Ref No. Keyword = "model"

4

5

6	74	23	But also learn ourselves how the model performs
7	75	3	undertaking soon to evaluate model performance
8	75	13	and the SEARCH met data. The model seemed to be
9	75	18	series plot running the model with the airport
10	78	6	but the model concentration with that data
11	79	18	the SEARCH site that's matched with the model
12	80	14	there a problem with the model that these light
13	81	3	roadways were modeled as links and minor roadways
14	81	5	distributed so the initial model-to-monitor
15	81	15	We did a broader assessment of modeling
16	82	4	light duty vehicles they are being modeled as
17	82	8	were on the same scale. This is sort of model to
18	82	11	concentration and the lighter blue is the model
19	82	20	this is the model comparison after I think the
20	83	7	modeled multiple sources again that's majority
21	83	9	Q-Q plot of modeled concentrations using SEARCH.
22	84	12	little bit more focused on that. This a model
23	85	7	The other thing is the sensitivity of model
24	85	19	at different ways to model it there's an area
25	86	3	model tanks maybe series non buoyant point
26	87	3	opportunities to learn about the model. They are
27	87	6	limitations of the model are and the
28	87	9	to apply the model and we also want to do is
29	87	10	build on what Bret is doing in model performance.
30	87	15	any questions as it relates to the model
31	87	20	you have but the storage tanks have been modeled
32	88	2	how we should really be modeleing these. One is
33	88	13	modeling storage tanks.
34	88	23	of the model to deal with downwash that's more
35	89	12	woefully inadequate in evaluating the model in
36	91	12	yesterday, and I'll plug the Model Clearinghouse
37	93	6	Model and then we'll take some Q&A soon after
38	93	12	modeling community. In the modeling community as
39	93	21	emergency response support for air modeling in
40	93	24	In the emergency response modeling community
41	94	2	class of modeling technology that is new to us.
42	94	5	modeling community. That is one area where we
43	94	9	of CALPUFF modeling you know we've also seen a
44	95	18	is (sorry) and about fire emissions model and MM5
45	95	19	met model linked to FLEXPART. We are using it as
46	95	21	Lagrangian particle model called FLEXPART. We
47	97	3	Lagrangian Integrated Trajectory model. I try
48	97	9	to use the model.
49	97	16	lagrangian model. Basically the difference in
50	99	4	that means someone else provided this. The model

2			
3	Page	Ref No.	Keyword = "model"
4	_____	_____	_____
5			
6	99	20	Modelled particle distributions (puffs) can
7	99	22	modeling air concentrations, it is from
8	100	7	and switch to the global model.
9	100	16	ozone model, CD4, and we've got a mercury module.
10	101	6	changes in the model. It's not that new we
11	101	9	model used was rawinsonde data with day/night
12	101	17	that a gridded meteorological model might be
13	102	12	in-plume model. Essentially a subroutine for
14	102	17	you're running the lagrangian model for all the
15	102	22	reasonable to look at an Eulerian model to
16	102	24	that with Lagrangian plume model. From that
17	103	4	transferred to the Eulerian model.
18	104	23	3D-particle model with just the mean motion. We
19	105	5	approach where we're not modeling the individual
20	105	6	particles, but we're modeling how that particle
21	106	21	modeling the distribution, it could either be a
22	107	20	the model. That's the particle approach.
23	108	5	deviation, the made as modeling the puff if you
24	108	24	running the 3D particle model the change in
25	110	10	model and what you see here is the particle
26	111	3	boundaries and the meteorological model has
27	112	24	essentially, the model didn't show a lot of bias
28	113	12	model what my overall results will be.
29	114	4	the perfect model would give us a rank of 4.0.
30	114	22	can use it in the model. So all of a sudden we
31	114	24	available and we can use modeling methods and we
32	115	6	you find changing dispersion in the model and
33	117	15	the model is .97 correlation coefficient and the
34	118	2	will have the integrated global model for
35	118	7	model physics ensemble (pc/unix); meteorology and
36	118	17	overview of puff particle model.
37	118	19	about the particle puff model the PPM module
38	118	24	describe the model and a little bit of history
39	119	16	purpose of the PPM the puff particle model is to
40	120	14	If you look at the Puff model types there
41	120	23	cluster dispersion puff model where a puff is a
42	121	12	model to determine the puff trajectory. I'll
43	123	11	Peter evaluated the model of several
44	124	7	part of European short-range dispersion model
45	124	17	Lagrangian particle dispersion model (LPFM)
46	125	2	current version of the model. You can turn the
47	125	9	Modeling. We'll start with presentation from
48	125	15	plume-in-grid modeling, which basically consists
49	125	16	of using a plume model within a grid model to
50	125	23	If you look at a grid model with a resolution of

2

3 Page Ref No. Keyword = "model"

4

5

6 126 6 in-grid model is to combine the plume model and
7 126 7 the grid model and carry the plume along until it
8 126 11 trying to do with the plume-in-grid model is to
9 126 15 model cannot predict these two stages correctly.
10 126 17 plume to the grid model.
11 126 18 So, like I mentioned earlier, the model
12 126 19 consists of a reactive plume model embedded
13 126 20 within a 3-D grid model. The plume model
14 126 22 model provides background concentrations to the
15 126 23 plume model. At the time we hand over the plume
16 126 24 model to the grid model, the grid model
17 127 2 feedback between the host grid model and the
18 127 3 plume model.
19 127 4 Plume-in-grid modeling is not new; it began in
20 127 12 of-the-science PiG model for ozone was initiated
21 127 14 The embedded plume Model is SCICHEM (state-of-
22 127 18 alternative model recommended by EPA on a case-
23 127 21 three-dimensional puff-based model, with second-
24 128 3 Model, CMAQ. In 2000, AER incorporated SCICHEM
25 128 4 into CMAQ. The model is called CMAQ-APT
26 128 6 The early applications of the model were for
27 128 10 July 1995. We also applied the model to Central
28 128 15 the base model.
29 128 21 developed by AER. MADRID is the Model of Aerosol
30 128 25 the plume-in-grid model, it is based on CMAQ 4.6,
31 129 11 designed to supplement RPO modeling being
32 129 17 plume-in-grid approach. Model performance
33 129 22 modeling domain for the application and locations
34 130 9 model and 2.4 $\mu\text{g}/\text{m}^3$ for the plume-in- grid model.
35 130 20 overestimated. Plume-in-grid PM modeling
36 131 5 mercury in the model. The implementation of
37 131 15 grid model on the left hand side and the change
38 131 18 model overpredicted mercury deposition,
39 132 11 of these species. Traditional modeling
40 132 16 Fluid Mech.). The model simulates near-source CO
41 133 7 shows the grid model domain.
42 133 10 model results compared with CO concentration
43 133 13 The challenge with P-in-G modeling is that it
44 133 16 model - computational requirements increase by a
45 134 7 going project to apply the model to the central
46 134 15 This slide shows the modeling domain for the
47 134 20 parallel version of the model.
48 134 25 Inc.; Collaboration in Model Development: L-3
49 136 3 little bit about photochemical modeling and in
50 136 6 source modeling and tracking that type of thing.

2

3 Page Ref No. Keyword = "model"

4 _____

5

6 136 9 modeling systems whether it's dispersion, or
7 136 10 photochemical grid model system. Essentially you
8 136 13 model.
9 136 14 Generally speaking the model started off as
10 136 15 a dispersion model, simple photochemical box
11 136 24 modeling system approach where we are trying to
12 137 2 PM in the same modeling system. An example
13 138 11 universe (inaudible) into one universe model.
14 138 17 the things in using a photochemical model for
15 140 9 model species for each contributing source.
16 140 22 additional model species. Just put in those
17 140 24 duplicate model species. And goes with the same
18 141 2 species do in the photochemical model. The only
19 142 10 on with the photochemical model because it's
20 143 14 through a photochemical model and that's just an
21 143 21 single source modeling with CAMx PSAT to compare
22 143 23 States did single source visibility modeling for
23 144 2 short the (inaudible) modeling just try to apply
24 145 9 the photochemical model really not a lot of
25 145 17 for credible single source modeling with Source
26 146 4 modeling for Ozone and PM.
27 147 21 applications. SMOKE or other emissions model
28 147 24 There has been a lot of development in modeling
29 148 13 PGM Databases and model set ups. RPOs, AIRPACT,
30 148 24 model (just specify where fine grid domains are
31 149 8 very little. Whereas in a grid model you dump
32 149 11 the Plume in Grid model.
33 149 24 Southeast (ASIP). Annual PM2.5 SIP modeling for
34 150 11 2002 36 km modeling CAMx database. Add 12 km
35 150 15 model a part of VISTAS ASIP. Here's a 36 km: 148
36 151 8 modeling. 12 km grid cell size too coarse to
37 151 23 CAMx 12/4 modeling using two-way interactive grid
38 151 24 nesting. 2002 base case using standard model.
39 152 8 are located close to the grid model to the
40 152 11 (inaudible) for that other model CALPUFF.
41 153 10 it's not above 15. Here's 1 µg for this model.
42 153 19 have developed a Conceptual Model for PM2.5
43 153 23 12/4/1 km PiG modeling attributes 3.4 µg/m³ to
44 154 8 modules. The use PGM modeling to assess "single
45 154 13 BART assessment. PM2.5 SIP modeling.
46 154 22 modules. The use of PGM modeling, to assess
47 155 3 Arkansas BART assessment. PM2.5 SIP modeling.
48 156 9 modeling single source for Ozone PM2.5 seems to
49 158 22 regional modeling. These comments cover many
50 160 2 recommendation for Plume in Grid (PinG) modeling?

2

3 Page Ref No. Keyword = "model"

4

5

6	160	21	needed is to optimize use of Met model and CALMET
7	160	22	model predictions with observations. Specific
8	161	8	is due to physical assumptions in the model).
9	161	9	We'd like to see overall model
10	161	15	and Penn State MM5 Met model data assimilation
11	161	17	diagnostic model) is truly needed as an
12	161	18	intermediate step between the Met model and the
13	161	20	NOAA) who have operational Met model-AQM systems
14	161	23	Determine overall model performance of
15	162	5	Met model data assimilation methods). Assess if
16	162	6	CALMET (or any diagnostic model) is truly needed
17	162	7	as an intermediate step between the Met model and
18	162	10	operational Met model-AQM systems operating and
19	162	16	We see a need for an overall model
20	162	18	very limited evaluations of the model in the mode
21	163	6	input questions (CALMET or Met model such as MM5
22	163	17	is much current mesoscale and regional modeling
23	163	24	model (e.g., MM5) direct input versus CALMET
24	163	25	diagnostic model.
25	164	2	I'd like to switch to model evaluation
26	164	5	improvements in regional dispersion model
27	164	13	measures for the different model scales, a
28	164	15	be devised for use at all model scales. I
29	164	25	with the BOOT software. We think the model
30	165	3	modeling protocols and decision making. We also
31	165	4	believe uncertainty in model predictions (also
32	165	8	use of the probabilistic AQM system (Met model -
33	165	10	We understand the screening model,
34	166	3	that the dispersion modeling domain is dominated
35	166	9	model domain is going to be entirely dominated by
36	166	10	the surface modeling of the airport roughness.
37	166	19	modeling purposes (>90% available). We'd like to
38	166	23	Ratio Model (PMVRM. We like for EPA to further
39	166	24	test this model and, if acceptable, recommend the
40	166	25	use of this model for predicting NO2
41	168	8	modifications to model algorithms. Model
42	168	10	discussions with the entire community of model
43	168	12	Need to update and improve model guidance
44	168	18	Conduct a Mesoscale/Regional collaborative model
45	169	3	ASIP modeling and the like. I just want to
46	170	2	region and state and local modeling.
47	170	25	quality modeling for regional analysis for
48	171	17	that evaluation, we could use the model in
49	171	25	said the model has not been evaluated to a
50	172	3	that's the way we're using the model and

2			
3	Page	Ref No.	Keyword = "model"
4	_____	_____	_____
5			
6	172	15	Air quality modeling approach is: "Use
7	172	24	AQRV modeling approach is to develop a
8	173	7	of a robust model performance evaluation in
9	173	8	a full chemistry mode. Indication of model
10	173	11	methodology is required for model
11	175	11	really the only model verification that has
12	175	14	conditions were included model agreement was
13	175	19	requiring that the model should be used.
14	175	21	indication that the as CALPUFF Model using
15	176	15	In this context, the model is not
16	177	7	that the model is performing correctly.
17	177	15	model is saying it is playing a very
18	177	17	really doing a very good job of model
19	177	23	different picture than what the model is
20	177	24	saying. This has become a political model
21	177	25	and the public is believing the model. This
22	178	16	the model is being used is not realistic.
23	179	5	little change. Again, the model doesn't
24	179	10	comprehensive model evaluation of CALPUFF in
25	179	11	a full chemistry model. Without a doubt
26	179	13	done with this model.
27	180	2	model output in air quality modeling
28	180	3	requires: The accuracy of MM5/CALMET model
29	180	5	model application; EPA needs to coordinate a
30	180	9	Topics that the modeling community
31	180	11	model should be used? Grid size? How
32	180	13	included in modeling? Model performance
33	180	14	criteria? Meteorological model accuracy is
34	180	16	model results used in an air quality
35	183	12	the model. Again it was more of a mechanical
36	186	10	modeling. I'm going to introduce the AB3 model
37	186	14	staff member from 1978 and 1979 from the model
38	186	20	Complex (ISC)] model. I'm not sure if that is
39	187	4	goal of best model performance built on best
40	190	12	wind residential tower to go in to the model.
41	191	13	that chart represents what the model BPIP gave
42	195	6	meteorological data on the air quality model which
43	195	10	model options and Metric for evaluating success.
44	196	7	out of the prognostic model. Although they do
45	196	24	separately from dispersion model performance.
46	197	2	dispersion model to met database. Separately
47	197	4	parameter. Sensitivity of prognostic model
48	197	7	dispersion model to different variables. Model
49	198	22	precursors, modeling techniques - guidance,
50	200	2	for visibility modeling because each of these

2

3 Page Ref No. Keyword = "model"

4

5

6	200	9	quantified, and modeled based on EPA Reference
7	200	21	modeling that are still in effect, Best Available
8	200	25	pending), and the PSD increment modeling
9	201	3	So let's talk about modeling Primary vs.
10	201	9	Secondary PM2.5 could be modeled with CALPUFF.
11	201	12	unbiased model to take modeling credit? Are we
12	202	4	modeling for short-range applications? Include
13	202	5	secondary PM2.5 modeling for long-range
14	202	25	Example Modeling Challenge: Compute Total
15	203	12	To summarize: PM2.5 modeling in a regulatory
16	203	15	Emissions measurement and modeling techniques
17	203	17	can be much higher than modeled concentrations.
18	203	19	for refined modeling approaches. Collaboration
19	203	24	guidance, PSD increments and modeling procedures.
20	204	13	The Low wind speed issues. Modeling of
21	204	14	roadways for NO2 and PM. Problems with modeling
22	205	7	studies and adjustments to AERMOD modeling
23	206	20	Sensitivity of modeling to surface
24	207	6	2008 Annual Meeting on sensitivity modeling. We
25	208	18	EPA controlling the model developing coding and
26	208	21	modeling for the guideline purposes require air
27	208	24	We need a 3-D Lagrangian model for
28	209	4	demonstrated. CALPUFF is a model with community
29	210	2	provide for advancement in this model. The
30	210	21	the model.
31	211	8	occur and require PUFF modeling. We'll be
32	211	10	modeling and a better definition of complex
33	211	14	make it a Lagrangian model. Another issue is
34	212	5	will be conducting a modeling conference in
35	212	6	Toronto this Spring on Canadian modeling issues.
36	212	7	There will be 2 modeling conferences next year.
37	212	25	participated in all of the EPA modeling
38	213	4	revisions of Appendix W Guideline. The Modeling
39	213	17	that EPA is planning to make to the Modeling
40	214	19	outdated portion of the modeling guideline, EPA
41	215	17	document that a modeling system like CALPUFF,
42	215	25	Model Clearinghouse process. A drill that is
43	216	9	which that model has shown to work and function
44	216	11	Appendix W allows the choice of modeling
45	217	12	that model users will occasionally encounter and
46	217	13	identify problems and bugs in the model.
47	218	8	Paine spoke of dealing with PM2.5 modeling
48	218	13	and no model that does a credible job of
49	218	22	modeling tools to use for the permit application.
50	219	3	modeling and we still have no guidance on how to

2

3 Page Ref No. Keyword = "model"

4 _____

5

6 219 15 quality modeling when I was a contractor in the
 7 220 11 long model runs. They have a dedicated user
 8 220 16 modeling disciplines report cost benefit
 9 222 11 Model: example (a). Used as a reference. CMAQ:
 10 222 22 Example (a) SOM Ocean Model: Excellent
 11 226 21 comparing the prognostic model derived wind

12

13 Page Ref No. Keyword = "model evaluation"

14 _____

15

16 6 12 model evaluation session right after that.
 17 17 3 provide full documentation of model evaluation
 18 24 5 use for meteorological model evaluation.
 19 37 6 work-in-progress. We have a model evaluation
 20 48 3 for model evaluation. This one refers to the
 21 50 14 to deliver the atmospheric model evaluation tool
 22 50 24 Model Evaluation Tool (AMET) consists of two
 23 61 24 be continuing to develop model evaluation tools
 24 73 18 regulatory model evaluation this is prairie grass
 25 164 2 I'd like to switch to model evaluation
 26 168 14 of science-based models through model evaluation
 27 179 10 comprehensive model evaluation of CALPUFF in

28

29 Page Ref No. Keyword = "modeling"

30 _____

31

32 7 7 in air quality modeling. This class of models
 33 7 10 modeling so we use non steady state (inaudible)
 34 7 14 visibility (inaudible) modeling. As such as Joe
 35 13 4 for direct modeling or comparison because you
 36 14 6 the 8th Modeling Conference - EPA recognized the
 37 14 22 modeling project and they said we are performing
 38 16 9 point yesterday about you know this is a modeling
 39 17 6 to updating existing EPA LRT modeling guidance
 40 17 11 modeling system to incorporate recent
 41 17 15 8th Modeling Conference that talk about these
 42 17 18 200-300 km? At the 7th Modeling Conference, EPA's
 43 47 3 Going back to the 8th Modeling Conference, we
 44 47 10 in the modeling system understanding that
 45 47 11 emphasis on modeling systems, recognizing that
 46 47 12 the emissions meteorology and underlying modeling
 47 50 18 modeling division in ORD here at EPA. And as
 48 62 16 for short range modeling evaluations the somewhat
 49 70 25 dispersion modeling are how often are the winds
 50 81 15 We did a broader assessment of modeling

2			
3	Page	Ref No.	Keyword = "modeling"
4	_____	_____	_____
5			
6	88	13	modeling storage tanks.
7	93	12	modeling community. In the modeling community as
8	93	21	emergency response support for air modeling in
9	93	24	In the emergency response modeling community
10	94	2	class of modeling technology that is new to us.
11	94	5	modeling community. That is one area where we
12	94	9	of CALPUFF modeling you know we've also seen a
13	99	22	modeling air concentrations, it is from
14	105	5	approach where we're not modeling the individual
15	105	6	particles, but we're modeling how that particle
16	106	21	modeling the distribution, it could either be a
17	108	5	deviation, the made as modeling the puff if you
18	114	24	available and we can use modeling methods and we
19	125	9	Modeling. We'll start with presentation from
20	125	15	plume-in-grid modeling, which basically consists
21	127	4	Plume-in-grid modeling is not new; it began in
22	129	11	designed to supplement RPO modeling being
23	129	22	modeling domain for the application and locations
24	130	20	overestimated. Plume-in-grid PM modeling
25	132	11	of these species. Traditional modeling
26	133	13	The challenge with P-in-G modeling is that it
27	134	15	This slide shows the modeling domain for the
28	136	3	little bit about photochemical modeling and in
29	136	6	source modeling and tracking that type of thing.
30	136	9	modeling systems whether it's dispersion, or
31	136	24	modeling system approach where we are trying to
32	137	2	PM in the same modeling system. An example
33	143	21	single source modeling with CAMx PSAT to compare
34	143	23	States did single source visibility modeling for
35	144	2	short the (inaudible) modeling just try to apply
36	145	17	for credible single source modeling with Source
37	146	4	modeling for Ozone and PM.
38	147	24	There has been a lot of development in modeling
39	149	24	Southeast (ASIP). Annual PM2.5 SIP modeling for
40	150	11	2002 36 km modeling CAMx database. Add 12 km
41	151	8	modeling. 12 km grid cell size too coarse to
42	151	23	CAMx 12/4 modeling using two-way interactive grid
43	153	23	12/4/1 km PiG modeling attributes 3.4 µg/m ³ to
44	154	8	modules. The use PGM modeling to assess "single
45	154	13	BART assessment. PM2.5 SIP modeling.
46	154	22	modules. The use of PGM modeling, to assess
47	155	3	Arkansas BART assessment. PM2.5 SIP modeling.
48	156	9	modeling single source for Ozone PM2.5 seems to
49	158	22	regional modeling. These comments cover many
50	160	2	recommendation for Plume in Grid (PinG) modeling?

2			
3	Page	Ref No.	Keyword = "modeling"
4	_____	_____	_____
5			
6	163	17	is much current mesoscale and regional modeling
7	165	3	modeling protocols and decision making. We also
8	166	3	that the dispersion modeling domain is dominated
9	166	10	the surface modeling of the airport roughness.
10	166	19	modeling purposes (>90% available). We'd like to
11	169	3	ASIP modeling and the like. I just want to
12	170	2	region and state and local modeling.
13	170	25	quality modeling for regional analysis for
14	172	15	Air quality modeling approach is: "Use
15	172	24	AQRV modeling approach is to develop a
16	180	2	model output in air quality modeling
17	180	9	Topics that the modeling community
18	180	13	included in modeling? Model performance
19	186	10	modeling. I'm going to introduce the AB3 model
20	198	22	precursors, modeling techniques - guidance,
21	200	2	for visibility modeling because each of these
22	200	21	modeling that are still in effect, Best Available
23	200	25	pending), and the PSD increment modeling
24	201	3	So let's talk about modeling Primary vs.
25	201	12	unbiased model to take modeling credit? Are we
26	202	4	modeling for short-range applications? Include
27	202	5	secondary PM2.5 modeling for long-range
28	202	25	Example Modeling Challenge: Compute Total
29	203	12	To summarize: PM2.5 modeling in a regulatory
30	203	15	Emissions measurement and modeling techniques
31	203	19	for refined modeling approaches. Collaboration
32	203	24	guidance, PSD increments and modeling procedures.
33	204	13	The Low wind speed issues. Modeling of
34	204	14	roadways for NO2 and PM. Problems with modeling
35	205	7	studies and adjustments to AERMOD modeling
36	206	20	Sensitivity of modeling to surface
37	207	6	2008 Annual Meeting on sensitivity modeling. We
38	208	21	modeling for the guideline purposes require air
39	211	8	occur and require PUFF modeling. We'll be
40	211	10	modeling and a better definition of complex
41	212	5	will be conducting a modeling conference in
42	212	6	Toronto this Spring on Canadian modeling issues.
43	212	7	There will be 2 modeling conferences next year.
44	212	25	participated in all of the EPA modeling
45	213	4	revisions of Appendix W Guideline. The Modeling
46	213	17	that EPA is planning to make to the Modeling
47	214	19	outdated portion of the modeling guideline, EPA
48	215	17	document that a modeling system like CALPUFF,
49	216	11	Appendix W allows the choice of modeling
50	218	8	Paine spoke of dealing with PM2.5 modeling

2

3 Page Ref No. Keyword = "modeling"

4 _____

5

6 218 22 modeling tools to use for the permit application.
 7 219 3 modeling and we still have no guidance on how to
 8 219 15 quality modeling when I was a contractor in the
 9 220 16 modeling disciplines report cost benefit

10

11 Page Ref No. Keyword = "monitor"

12 _____

13

14 30 13 They had at least 168 monitoring sites
 15 61 19 externally. Then we monitor the bugs that the
 16 63 24 monitoring networks featuring year-long sampling
 17 75 22 the details here but this is the Wylam monitor
 18 76 6 receptors (inaudible) on the monitor location to
 19 76 7 the actual monitored concentration. It actually
 20 76 11 concentrations from the monitor. This just shows
 21 77 15 that monitor. But if you look at the airport
 22 80 2 monitor from the source that is the closest
 23 80 7 the facility would be going right at the monitor,
 24 81 7 significantly exceeding monitored NO2
 25 85 15 up. The monitor was kind of within 100 meters
 26 86 19 reasonably close. This other monitor didn't do
 27 86 22 background sources impacting that monitor. This
 28 152 9 monitor and sometimes almost (inaudible) I admit
 29 153 8 monitor and that's about 2 µg which is a large
 30 153 9 contribution source on a monitor. In this case
 31 153 16 to PM2.5 nonattainment at Granite City Monitor
 32 153 17 (B) and Washington St. Monitor (A).
 33 153 22 at the Granite City monitor on average. The CAMx
 34 162 14 further which would provide monitoring data and
 35 167 9 monitoring data combined with statistical
 36 173 2 included in the monitoring data which is
 37 173 9 bias for NO3 impacts compared to monitored
 38 176 7 issues of is the monitor in the right
 39 176 17 the improved monitoring data at Bridger over
 40 176 23 I would submit if the monitor wasn't
 41 177 6 say the monitor is in the wrong location and
 42 179 2 in the monitoring data.
 43 179 3 Monitoring data versus CALPUFF, 80,000
 44 180 12 should meteorological monitoring sites be

2

3 Page Ref No. Keyword = "monitors"

4 _____

5

6 21 20 had is you had two arcs of monitors that were
 7 81 8 concentrations at 3 Atlanta monitors. An initial
 8 82 9 monitor comparison at one of the NO2 monitors
 9 83 4 other monitors as well. So they seemed
 10 90 7 of monitors and spend a lot of money and miss the
 11 152 6 monitors where we are asked to get the PM2.5
 12 152 23 projected 2009 design barriers at these monitors
 13 205 9 EPA to pursue. Problems - few long-term monitors

14

15 Page Ref No. Keyword = "near-field"

16 _____

17

18 142 22 necessary and useful for near-field applications.
 19 143 2 what about near-field applications? I think we
 20 143 5 working with near-field with photochemical
 21 143 10 review existing near-field applications using
 22 201 5 only. Primary PM2.5 provides highest near-field

23

24 Page Ref No. Keyword = "NEPA"

25 _____

26

27 154 12 assessments as part of NEPA, Texas and Arkansas
 28 155 2 AQRV assessments as part of NEPA. Texas and
 29 172 7 and gas in the context of NEPA. You heard
 30 172 10 air quality impacts under NEPA
 31 172 13 NEPA analysis includes up to 700 sources and
 32 172 16 the best available science to support NEPA

33

34 Page Ref No. Keyword = "non regulatory"

35 _____

36

37 7 8 plays several roles. In the non regulatory
 38 95 15 a non regulatory capacity. We use them for fire

39

40 Page Ref No. Keyword = "NOAA"

41 _____

42

43 11 2 This data set and these programs on the NOAA ARL
 44 11 9 what NOAA has done in terms of trying to you know
 45 12 14 on the NOAA webs site introduced a final metric
 46 15 3 something similar what the NOAA archive is where
 47 160 17 this including DTRA and NOAA who have linked MET
 48 161 20 NOAA) who have operational Met model-AQM systems
 49 162 9 Work with other agencies (DTRA, NOAA) who have
 50 180 20 for use of NOAA reanalysis data.

2

3 Page Ref No. Keyword = "noaa"

4 _____

5

6 182 7 Who supplies it? NOAA and ECMWF.

7

8 Page Ref No. Keyword = "NSR"

9 _____

10

11 72 10 Appendix W [ed. for NSR and] (inaudible) PSD.

12 200 23 NSR implementation rule, PM2.5 PSD SILs, SMCs, and

13

14 Page Ref No. Keyword = "OAQPS"

15 _____

16

17 6 19 detail for OAQPS.

18 14 4 came down on rotation to OAQPS in January and my

19

20 Page Ref No. Keyword = "observation"

21 _____

22

23 9 13 observation pairings. This is the Irwin

24 27 5 the observation was. This is where we clearly

25 32 22 observation were looking like for this. CALPUFF

26 49 10 can observe both from the observational

27 51 17 paired model observation sets which are actually

28 52 11 all the data and observation are in the database

29 56 15 model observation, model to model, summary

30 65 8 a ranked observation verses prediction plot and

31 69 4 fitted observation.

32 69 6 you do something with the observation. The way

33 101 14 instead of using observation.

34 166 12 the airport wind observation to the land

35 171 13 look at it against observational data and

36 197 10 determine available observational datasets.

37 198 6 observation. That sounds high to me.

38 198 7 Consistency with results using observational

39 198 12 other observational datasets. That's all I have.

40 207 24 specific is considered a valid observation if the

41

42 Page Ref No. Keyword = "observations"

43 _____

44

45 8 7 and tracers for observations that we can use for

46 15 6 all the observations within the program. Anybody

47 28 16 dating back to 1982 - 1983. The observations

48 32 20 We were able to pull in the observations so that

49 34 23 These are some of our initial observations from

50 37 12 some of our observations. Did we go wrong in

2

3 Page Ref No. Keyword = "observations"

4 _____

5

6	48	14	observations, the predictions to our models to
7	48	15	the observations we see?
8	51	13	to compare observations against meteorological
9	51	25	observations and then model output. These are
10	52	9	predictions and observations.
11	53	2	side is it's a different observations and a
12	64	20	observations, unpaired in time and can be used
13	68	20	Observations"? Observations can be measured by
14	68	25	treating observations as snapshots of an
15	123	21	•8 observations, 15-minute
16	124	14	of observations; some under prediction of cross-
17	160	22	model predictions with observations. Specific
18	161	13	observations can best be used and assimilated in
19	162	2	experiments. Determine how met observations can
20	163	21	observations, tracer releases, and PM and
21	163	22	visibility observations over an area of about 200
22	166	6	wind observations to the land characteristics of
23	182	11	standard upper air and surface observations
24	191	5	that agreed better with field observations.
25	226	13	observations and combine them with more broadly

26

27 Page Ref No. Keyword = "observed"

28 _____

29

30	10	4	integrated concentration and observed the fitted
31	28	13	from the observed and ...oh great. Sorry about all
32	32	5	observed in terms of the absolute transport
33	34	3	the model observed it had the best of spatial
34	57	11	model observed, the bias between the model
35	57	12	observed and also you can sub region this out
36	57	14	showing observed and (inaudible) but you could
37	66	15	observed and predicted concentrations where an FB
38	69	22	volume, but observed concentrations represent
39	77	9	observed concentration goes up it's often highly
40	77	13	observed concentration. That certainly suggests
41	78	5	down, calms go up, observed concentrations go up
42	112	13	what was observed by visible satellite imagery.
43	181	21	based off of observed data and not a
44	183	15	calms verses what the observed data might have.
45	183	18	observed sounding and it has some really good
46	198	9	observed met results. Evaluate results under

2

3 Page Ref No. Keyword = "ozone"

4

5

6	81	20	Ozone Limiting Method to better account for NO to
7	100	16	ozone model, CD4, and we've got a mercury module.
8	127	12	of-the-science PiG model for ozone was initiated
9	128	7	ozone, where we conducted simulations for
10	136	19	type of pollutant. UAM, REMSAD for Ozone, REMSAD
11	136	25	treat all types of precursors species ozone and
12	137	11	predict ozone, PM acid rain, visibility and
13	138	20	ozone concentrations, no need for a constant
14	138	21	ozone background value for PM, advanced aqueous
15	140	11	for their contribution to ozone if you choose
16	141	7	This is an example of ozone source
17	141	10	ozone contribution from sources similarly to PM
18	141	11	with reactive tracers, July maximum ozone
19	146	4	modeling for Ozone and PM.
20	146	18	assessment are the new more stringent Ozone and
21	146	23	the contributions of source to the Ozone and
22	147	5	individual contributions to ozone and PM2.5
23	148	10	CMAQ have PM and Ozone Source Apportionment and
24	149	6	evolution of the plume where there's no Ozone
25	149	9	those emissions and it starts forming Ozone and
26	149	12	I think Kirk talked about the Ozone and
27	150	14	Another application is the PM2.5 Ozone ASIP
28	154	2	"single source" contributions to ozone, PM2.5,
29	154	5	Full chemistry Plume-in-Grid modules. Ozone and
30	154	16	"single source" contributions to ozone, PM2.5,
31	154	19	Full chemistry Plume-in-Grid modules. Ozone and
32	156	9	modeling single source for Ozone PM2.5 seems to
33	167	3	ozone concentrations. This should be performed
34	173	17	2) Background Ozone (surface, user
35	173	24	1) Background Ozone;
36	188	13	increase use of ozone models and I think this was
37	209	21	and we need to do some other things for Ozone .

38

39 Page Ref No. Keyword = "parameter"

40

41

42	11	24	Kolmogorov-Smirnov Parameter and basically it
43	12	23	the KS parameter and then assigns a score from 0
44	13	17	our false alarm ratio; the KS parameter, the
45	113	25	(KS) parameter is the maximum difference between
46	165	23	influence of nearby land use in parameterizing
47	197	4	parameter. Sensitivity of prognostic model
48	197	8	parameterizations and grid resolution.

2

3 Page Ref No. Keyword = "parameters"

4 _____

5

6 12 19 those parameters.
 7 114 5 Obviously you can add other parameters if you
 8 197 5 parameters. Use of NCEP products (e.g., RUC
 9 197 15 micrometeorological parameters, solar radiation,
 10 206 8 the use of ANL physical parameters for common

11

12 Page Ref No. Keyword = "particle"

13 _____

14

15 7 11 puff model, particle model for these types of
 16 13 10 particle model that we evaluated as part of this
 17 20 19 did was to include the two Lagrangian particle
 18 36 15 particle models for first 24 hours, has more
 19 93 5 on HYSPLIT and Joe Scire on the Puff Particle
 20 94 24 SCIPUFF), Lagrangian Particle Models (KSP,
 21 95 12 example of how we've used particle models in
 22 95 21 Lagrangian particle model called FLEXPART. We
 23 97 2 little awkward. HYbrid Single Particle
 24 99 20 Modelled particle distributions (puffs) can
 25 100 5 in a calculation, when the particle is over the
 26 100 21 particle then contributes to the eulerian
 27 100 25 the particle and the advection continues on.
 28 105 15 at the particle motion in one direction and a
 29 105 17 hybrid method always puts the particle in the
 30 105 19 particle approach would give us a more accurate
 31 106 4 particle concentrations you can see from the
 32 106 5 illustration what that turbulent particle
 33 106 7 those mean particle trajectories. It's a
 34 107 10 3-D particle approach, just briefly, we're
 35 107 20 the model. That's the particle approach.
 36 108 11 what's happening at the end of the particle is
 37 108 13 you don't have enough particle density to give
 38 108 15 limitations with the particle approach. When you
 39 108 23 concentrations? Well each particle if you're
 40 108 24 running the 3D particle model the change in
 41 109 2 contributed by that particle divided by the grid
 42 110 9 China in 2001. This was running the 3-D particle
 43 110 10 model and what you see here is the particle
 44 110 25 happened is the particle starts lining up with
 45 118 17 overview of puff particle model.
 46 118 19 about the particle puff model the PPM module
 47 119 16 purpose of the PPM the puff particle model is to
 48 119 18 particle approaches. In one of the elements of
 49 119 25 advantage is particle models over plume models
 50 120 8 stochastic particle models are state-of-the-

2

3 Page Ref No. Keyword = "particle"

4 _____

5

6 121 11 a full stochastic Lagrangian particle dispersion
 7 121 20 particle to which it belongs.
 8 122 16 PPM time step, new particle trajectories are
 9 123 2 the size of the particle-puffs in the mirror
 10 124 17 Lagrangian particle dispersion model (LPFM)
 11 139 6 partitioning between gas and particle phase and

12

13 Page Ref No. Keyword = "PBL"

14 _____

15

16 23 19 MM5 like ETA PBL and NOAH LSM. We're not

17

18 Page Ref No. Keyword = "Phase 2"

19 _____

20

21 8 16 the update of the IWAQM and Phase 2 guidance is
 22 14 8 significantly and the IWAQM Phase 2
 23 17 7 (IWAQM Phase 2) to reflect lessons learned from
 24 19 18 IWAQM Phase 2 there's talk about project MOHAVE

25

26 Page Ref No. Keyword = "photochemical"

27 _____

28

29 94 11 photochemical models in a more of a single source
 30 135 19 Morris on single source models and photochemical
 31 136 3 little bit about photochemical modeling and in
 32 136 4 general some of the features of the photochemical
 33 136 10 photochemical grid model system. Essentially you
 34 136 15 a dispersion model, simple photochemical box
 35 136 17 photochemical models like urban REMSAD models.
 36 136 18 Those photochemical models are geared to specific
 37 136 23 photochemical grid models are a one atmosphere
 38 137 23 Photochemical models the governing equation
 39 137 25 photochemical we're trying to make chemical
 40 138 7 with photochemical models. The dispersion model
 41 138 16 For photochemical models advantages, one of
 42 138 17 the things in using a photochemical model for
 43 138 24 included, photochemical models generally have
 44 139 11 have been implemented in photochemical models
 45 141 2 species do in the photochemical model. The only
 46 141 21 the source would be located. The photochemical
 47 142 10 on with the photochemical model because it's
 48 142 13 Applications was touched on Photochemical models
 49 142 19 (from States, RPOs, etc) for photochemical models
 50 142 23 The other thing about photochemical

2

3 Page Ref No. Keyword = "photochemical"

4 _____

5

6 143 5 working with near-field with photochemical
 7 143 8 photochemical models like sub-cell receptor
 8 143 14 through a photochemical model and that's just an
 9 145 9 the photochemical model really not a lot of
 10 145 16 photochemical grid models provide an opportunity
 11 147 9 chemistry. Photochemical Grid Models (PGMs) have

12

13 Page Ref No. Keyword = "PiG"

14 _____

15

16 127 12 of-the-science PiG model for ozone was initiated
 17 129 23 of 14 PiG sources
 18 130 12 contribution by using the PiG treatment. You can
 19 131 16 in mercury deposition using the PiG treatment on
 20 131 21 overprediction was corrected by using PiG
 21 134 18 number of PiG sources, and this application would
 22 153 23 12/4/1 km PiG modeling attributes 3.4 µg/m3 to

23

24 Page Ref No. Keyword = "plume"

25 _____

26

27 9 5 on the plume center line statistics and so those
 28 9 21 azimuth of plume centerline on an arc. Then it
 29 9 22 also looks at the horizontal spread of the plume
 30 9 24 the definition of the horizontal of the plume.
 31 9 25 For temporal pairing we looked at plume arrival
 32 10 12 to fit an average plume on arc so these were
 33 24 23 terms of you know you can see the plume you know
 34 24 24 the plume is wide here. I am encouraged by the
 35 25 5 this the plume signal were not exactly matching
 36 25 8 you can see the plume spread with P-G tends to be
 37 25 12 prediction of the plume width with the P-G class
 38 27 10 Now Plume Centerline, this is one of the
 39 27 15 plume was a little bit displaced to the NE of
 40 27 24 Then on the 600 km arc the plume (inaudible)
 41 28 17 were basically the plume was detected from
 42 29 4 was that the plume came up in this area here and
 43 29 14 displacement it had the plume you can see that
 44 29 15 the plume took it a little bit further trip to
 45 32 8 first 24 hours of plume as it (inaudible) along
 46 34 6 because of the way the plume was transported with
 47 34 9 plume in an area where nothing was being
 48 35 6 plume width. It looked like it was doing better
 49 35 11 performed well except for plume azimuth as I said
 50 40 12 trajectory of the plume. As a test, back when we

2			
3	Page	Ref No.	Keyword = "plume"
4	_____	_____	_____
5			
6	63	14	with many sites where you can determine plume
7	63	15	centerline and plume sigma-y. You can determine
8	71	12	the plume dispersion predictions in CALPUFF
9	80	6	North West not directly so that the plume from
10	86	15	putting the plume the release sight more in the
11	90	4	conditions to conduct a field study. The plume
12	90	8	plume completely because it went that way instead
13	90	11	metric concentration really captured the plume
14	94	22	use over the years: Gaussian Plume Models (ISC,
15	95	3	CAMx), Plume-in-Grid, Single Source Apportionment
16	95	8	capabilities. In these models are Plume in
17	97	11	method; how to simulate plume dispersion, how to
18	102	11	than a plume-in-grid, we're going to have a grid-
19	102	24	that with Lagrangian plume model. From that
20	104	7	like a plume because wind speed and direction
21	104	10	and looks like a plume. But it's just a mean
22	105	8	deviation of the plume as it changes with time.
23	108	14	you a smooth plume and that's one of the
24	109	14	plume. As we saw in that vertical distribution
25	119	25	advantage is particle models over plume models
26	125	15	plume-in-grid modeling, which basically consists
27	125	16	of using a plume model within a grid model to
28	125	24	4 km or 12 km, the plume has to travel through
29	126	5	plume. So what we're trying to do with a plume-
30	126	6	in-grid model is to combine the plume model and
31	126	7	the grid model and carry the plume along until it
32	126	11	trying to do with the plume-in-grid model is to
33	126	13	about yesterday - the early plume dispersion and
34	126	14	the mid-range plume dispersion, and the grid
35	126	17	plume to the grid model.
36	126	19	consists of a reactive plume model embedded
37	126	20	within a 3-D grid model. The plume model
38	126	23	plume model. At the time we hand over the plume
39	127	3	plume model.
40	127	4	Plume-in-grid modeling is not new; it began in
41	127	6	PARIS - Plume-Airshed Reactive-Interacting
42	127	9	no treatment of wind shear or plume overlaps, no
43	127	14	The embedded plume Model is SCICHEM (state-of-
44	127	22	order closure approach for plume dispersion and
45	128	5	(Advanced Plume Treatment).
46	128	25	the plume-in-grid model, it is based on CMAQ 4.6,
47	129	17	plume-in-grid approach. Model performance
48	130	3	plume-in-grid. The right side shows the results
49	130	4	of CMAQ-AERO3-APT with plume-in-grid. There is a
50	130	9	model and 2.4 $\mu\text{g}/\text{m}^3$ for the plume-in- grid model.

2

3 Page Ref No. Keyword = "plume"

4 _____

5

6	130	20	overestimated. Plume-in-grid PM modeling
7	138	8	shown on the left with the plume (inaudible) at a
8	138	9	particular source plume kind of in its own
9	143	25	sub-grid plume treatment. To make a long story
10	147	12	source plume chemistry and dispersion?
11	147	15	the source to resolve near-source plume chemistry
12	148	6	plume chemistry and dispersion without providing
13	148	7	met and emission inputs and full chemistry Plume-
14	149	6	evolution of the plume where there's no Ozone
15	149	11	the Plume in Grid model.
16	151	11	point source plume would be computationally
17	151	16	grids. Plume-in-Grid to address near-source
18	154	5	Full chemistry Plume-in-Grid modules. Ozone and
19	154	19	Full chemistry Plume-in-Grid modules. Ozone and
20	160	2	recommendation for Plume in Grid (PinG) modeling?
21	166	22	We are interested in the Plume Molar Volume
22	174	2	3) Plume NOx Concentration
23	191	22	visualizations what happens is the plume
24	192	11	We think the plume is being caught in the cavity

25

26 Page Ref No. Keyword = "PRIME"

27 _____

28

29	85	25	with the PRIME downwash algorithms since it
30	107	16	prime, which is the standard deviation of
31	189	2	Prime, it's going to be hard to treat complex
32	189	8	Ultimately, PRIME needs the building shape
33	189	25	Prime Algorithms. With AERMOD/PRIME building
34	191	16	building. PRIME cavity and wake dimensions: W =

35

36 Page Ref No. Keyword = "processor"

37 _____

38

39	196	5	The other point is the processor. Do not
----	-----	---	--

40

41 Page Ref No. Keyword = "processors"

42 _____

43

44	133	23	quarter on different processors or machines. A
45	221	14	the problem at the source. Multi-core processors
46	222	2	outboard processors and programming tools for

2

3 Page Ref No. Keyword = "profile"

4 _____

5

6 54 19 Profiler, and Aircraft Profiler.
 7 56 3 This is a wind profiler comparison over time
 8 56 6 you have wind profile information,. a nice plot.
 9 71 15 rose profile misrepresentation, among other

10

11 Page Ref No. Keyword = "promulgation"

12 _____

13

14 21 16 published supporting the promulgation of CALPUFF.
 15 158 19 Promulgation of more stringent ambient
 16 213 3 rulemakings associated with promulgation and

17

18 Page Ref No. Keyword = "protocol"

19 _____

20

21 37 7 protocol drafted and it describes the
 22 42 8 with the State in which a common protocol had
 23 42 16 make a change in the current protocol to go from
 24 45 11 way or the other. If Herman had a protocol in
 25 45 13 to deviate from the protocol you have to have
 26 46 3 deviation of a protocol or questioning about the
 27 175 22 the IWAQM protocol, has a substantial bias
 28 199 12 protocol, and basically, we have all the

29

30 Page Ref No. Keyword = "protocols"

31 _____

32

33 165 3 modeling protocols and decision making. We also

34

35 Page Ref No. Keyword = "PSD"

36 _____

37

38 41 6 for PSD Class I increments that, in all cases,
 39 41 8 for PSD Class I increments. This was from Tim
 40 43 14 PSD.
 41 72 10 Appendix W [ed. for NSR and] (inaudible) PSD.
 42 200 23 NSR implementation rule, PM2.5 PSD SILs, SMCs, and
 43 200 25 pending), and the PSD increment modeling
 44 203 24 guidance, PSD increments and modeling procedures.
 45 213 9 standards or the PSD increments. What is in the

2			
3	Page	Ref No.	Keyword = "puff"
4	_____	_____	_____
5			
6	7	11	puff model, particle model for these types of
7	17	16	things. Can puff-splitting extend the effective
8	22	24	Puff-Splitting was turned on for the 600 km
9	23	5	consider puff splitting. But since we were
10	31	15	does. This is a good test for puff splitting
11	31	18	felt this was a good test for puff splitting.
12	33	7	with the puff-splitting turn on we weren't
13	33	15	and see how this puff-splitting will make a
14	36	20	looking at Puff-splitting did not change CALPUFF
15	36	22	at puff-splitting (eliminating mixing height
16	37	3	puff-splitting in CALPUFF.
17	93	5	on HYSPLIT and Joe Scire on the Puff Particle
18	94	23	AERMOD), Gaussian Puff Models (INPUFF, CALPUFF,
19	105	4	Another one of the possibilities is the PUFF
20	105	16	puff type approach in the other direction. The
21	106	13	looking at the center of the puff and that
22	106	19	Slide 9. As far as the puff distribution,
23	107	21	Now for the puff approach we're using the
24	107	24	puff. It's also a function of the turbulent
25	108	5	deviation, the made as modeling the puff if you
26	108	19	simulation. That's why we have this puff
27	109	3	cell volume. If you're using some kind of puff
28	109	4	approach it's the mass of the puff divided by the
29	109	5	volume of the puff, basically. The approach is
30	109	10	puff approach. Here's an example on the right
31	109	13	500 Hybrid puff approach gives a smoother looking
32	109	17	and having the puff approach in the horizontal
33	118	17	overview of puff particle model.
34	118	19	about the particle puff model the PPM module
35	119	16	purpose of the PPM the puff particle model is to
36	119	17	try to combine the advantages of both puff and
37	120	14	If you look at the Puff model types there
38	120	15	are a couple of types within the class of puff
39	120	16	models. One is the ensemble average puff model
40	120	17	and CALPUFF would this type. We have a puff that
41	120	23	cluster dispersion puff model where a puff is a
42	121	2	eddies smaller than the puff) contribute to puff
43	121	7	Instantaneous puff releases require use of
44	121	12	model to determine the puff trajectory. I'll
45	121	15	eddies smaller than the puff size is removed
46	121	17	relative dispersion. Every puff carries along
47	121	22	eddies larger than the puff but not resolved by
48	121	23	the flow is simulated by the puff center
49	122	10	released puff a "mirror ensemble" is attached.
50	122	12	number of puff-particles. The time step broken

2

3 Page Ref No. Keyword = "puff"

4 _____

5

6 122 17 computed, from which the puff trajectories are
 7 122 21 puff's size and position and then handed back to
 8 122 24 changing the puff's mass or chemical composition
 9 123 4 energy spectrum will be within the puff-particle.
 10 123 6 dispersion. At that point, the parent puff
 11 123 8 ensemble is deleted and the parent puff is
 12 123 9 restored. Parent puff treated in normal CALPUFF
 13 127 21 three-dimensional puff-based model, with second-
 14 127 23 treatment of puff splitting and merging. SCICHEM
 15 132 23 receptor locations by combining incremental puff
 16 133 15 number of point sources are treated with the puff
 17 160 18 models with MM5 and WRF and the Puff models.
 18 162 22 terrain, short term puff dispersion, chemical
 19 174 15 CMAQ MESO PUFF II chemistry. The blue dots
 20 211 8 occur and require PUFF modeling. We'll be

21

22 Page Ref No. Keyword = "ratio"

23 _____

24

25 13 17 our false alarm ratio; the KS parameter, the
 26 55 12 mixing ratio, wind speed, wind direction, but
 27 117 16 bias was a ratio 1.37. Okay.
 28 166 23 Ratio Model (PMVRM. We like for EPA to further
 29 178 12 Colorado, if you look at the ratio at the

30

31 Page Ref No. Keyword = "ratios"

32 _____

33

34 64 22 plots are plots of ratios of predicted/observed
 35 189 16 aspect ratios. Use of wind tunnel testing to
 36 191 9 aspect ratios. Short/large industrial facilities
 37 198 4 the ratios were about a factor of 2 or 1.5 to 2

38

39 Page Ref No. Keyword = "receptor"

40 _____

41

42 74 4 concentrations that each receptor along the arc.
 43 132 23 receptor locations by combining incremental puff
 44 143 8 photochemical models like sub-cell receptor
 45 155 19 receptor if you like. These models are terrain
 46 185 7 2nd high. Receptor location and data of 1st and

2

3 Page Ref No. Keyword = "regulatory"

4 _____

5

6 7 8 plays several roles. In the non regulatory
7 7 12 activities. In the regulatory community we use
8 31 13 recommended for regulatory. It's not sitting and
9 33 13 this is well beyond the regulatory range of
10 38 19 context to meet the regulatory needs under
11 47 23 in the regulatory policy context.
12 67 22 Regulatory Purposes - Model Validation Kit. It is
13 72 25 requirements of operational Regulatory Dispersion
14 73 5 but for regulatory models need to predict the
15 73 18 regulatory model evaluation this is prairie grass
16 87 24 for regulatory review. There's a wide variation,
17 88 3 almost always gravitated in the regulatory
18 93 11 the regulatory not necessarily in the regulatory
19 93 17 know after 9/11 a lot of the regulatory agencies
20 94 4 application in the future and for the regulatory
21 94 17 the regulatory community will have to deal with.
22 95 11 regulatory realm. I just wanted to give you an
23 95 15 a non regulatory capacity. We use them for fire
24 127 19 by-case basis for regulatory applications (also
25 145 5 the regulatory set of options which probably
26 145 21 models are routinely used for other regulatory
27 145 23 Implementation Plans so they do have regulatory
28 164 17 we're talking about the context of regulatory
29 165 6 available to and used by regulatory decision
30 166 18 if that year of data is suitable for regulatory
31 198 20 regulatory requirements, challenges to PM2.5
32 202 18 its Interim Regulatory Impact Analysis (RIA) for
33 203 12 To summarize: PM2.5 modeling in a regulatory
34 204 5 in a regulatory context. That's it. Let's see
35 209 24 control of the regulatory code. The developer
36 212 17 Air Regulatory Group (UARG). UARG is an ad hoc
37 215 10 memorandum about the regulatory status of CALPUFF
38 220 8 Regulatory Air Quality Models (AQM). They

39

40 Page Ref No. Keyword = "roughness"

41 _____

42

43 76 14 proximity but different settings. Low roughness
44 76 16 airport. Then higher roughness at the SEARCH
45 80 22 roughness sensitivity and this is more recent.
46 81 9 assessment was that low surface roughness used to
47 81 11 roughness typical of source locations, and
48 81 13 roughness to address that.
49 83 12 AERSURFACE pretty high roughness about 0.8 meters
50 83 15 supplementation with its roughness which is

2

3 Page Ref No. Keyword = "roughness"

4 _____

5

6 83 22 the SEARCH site with the higher roughness.
 7 84 7 to see due to surface roughness itself.
 8 165 24 surface roughness to a 1 km radius of ASOS
 9 166 4 by surface roughness of airport property. Better
 10 166 10 the surface modeling of the airport roughness.
 11 206 25 is too short of a fetch distance. Low roughness

12

13 Page Ref No. Keyword = "RUC"

14 _____

15

16 197 5 parameters. Use of NCEP products (e.g., RUC

17

18 Page Ref No. Keyword = "rule"

19 _____

20

21 161 6 developers recommend 4 km as a safe general rule,
 22 200 23 NSR implementation rule, PM2.5 PSD SILs, SMCs, and
 23 200 24 increments (proposed 9/21/07; final rule
 24 201 2 procedures (proposed 6/6/07; final rule pending).
 25 213 3 rulemakings associated with promulgation and
 26 214 18 notice-and-comment of rulemaking to change any
 27 218 23 Until the new recent rule, this was not much of

28

29 Page Ref No. Keyword = "run"

30 _____

31

32 15 5 have the MM5 data that was run up there and have
 33 31 3 MM5 is run again and was initialized with
 34 31 5 was run with Great Plains with the exception we
 35 43 23 running with the NOOBS only and with P-G, and
 36 74 18 has run AERMOD and getting results they don't
 37 75 9 SIP. Basically AERMOD was run initially with
 38 75 18 series plot running the model with the airport
 39 100 23 run. The concentration change is linearly
 40 102 17 you're running the lagrangian model for all the
 41 103 25 recognize the geography. Why would I run Spain?
 42 106 11 this is running with 3-D Puffs and we are not
 43 108 24 running the 3D particle model the change in
 44 110 9 China in 2001. This was running the 3-D particle
 45 112 6 wildfire smoke forecast that is running. You can
 46 114 10 those tracer experiments we have run...the first
 47 144 4 meteorology output from MM5. CALPUFF was run in
 48 150 5 Rather than running each one individually we
 49 150 6 decided to do group analysis and run them in
 50 166 21 information is not provided until AERMOD is run.

2

3 Page Ref No. Keyword = "run"

4 _____

5

6 178 23 issue is as new production was run in that
 7 183 11 pull some of this data in and run it through
 8 184 15 versions of AERMOD that couldn't quite run in
 9 185 5 concentration for SO2). NARR run within 5% of
 10 185 6 control for 1st high. NARR run within .07% for
 11 185 10 newbie when it comes to running AERMET and
 12 196 21 for running AERMOD or CALPUFF. I think it seems
 13 209 5 usage experience. We know how to run it and have
 14 209 6 been running it for years. It has better
 15 218 2 fixes that users have encountered in running

16

17 Page Ref No. Keyword = "rural"

18 _____

19

20 124 4 •187m power plant stack, rural
 21 168 21 evaluate regional models in rural regions in the

22

23 Page Ref No. Keyword = "scale"

24 _____

25

26 48 4 community multi scale air quality model from the
 27 82 8 were on the same scale. This is sort of model to
 28 101 16 scale type of situation. I'm not going to argue
 29 101 20 large scale experiments the resolution of the
 30 108 17 scale (inaudible) for global background, it is
 31 110 8 scale. This was the massive dust storm from
 32 111 2 the large scale weather patterns at the frontal
 33 112 18 down on the local scale. This is down to the 80
 34 112 19 km scale we're looking at a tracer experiment we
 35 125 17 capture fine scale variability next to emissions
 36 126 21 captures the local scale variability and the grid
 37 127 16 grid scale)-developed by L-3 Communications/Titan
 38 202 21 Local Scale Analysis (2005). Any of these
 39 225 25 local scale analysis using AERMOD to (inaudible)

40

41 Page Ref No. Keyword = "SCRAM"

42 _____

43

44 16 2 SCRAM for the evaluation data sets for the
 45 17 23 them up on the SCRAM web site. That was 2000 and
 46 184 9 How do I test it? He said to go on the SCRAM
 47 214 8 as SCRAM nor is it sufficient to publish the

2

3 Page Ref No. Keyword = "screening"

4 _____

5

6 142 8 screening metric states they obviously agree with

7 165 10 We understand the screening model,

8

9 Page Ref No. Keyword = "sensitivity"

10 _____

11

12 45 4 So we did that one additional sensitivity test

13 80 22 roughness sensitivity and this is more recent.

14 85 7 The other thing is the sensitivity of model

15 86 7 you can have a whole lot of sensitivity or not

16 134 13 emission scenarios and other emission sensitivity

17 195 9 Evaluation variables, Sensitivity to prognostic

18 196 25 There will likely be a large sensitivity of

19 197 4 parameter. Sensitivity of prognostic model

20 197 6 fields) and they are free. Sensitivity of

21 206 20 Sensitivity of modeling to surface

22 207 6 2008 Annual Meeting on sensitivity modeling. We

23 226 23 also an intent to do an sensitivity studies as to

24

25 Page Ref No. Keyword = "service"

26 _____

27

28 42 21 Service and the Fish & Wildlife and the Park

29 42 22 Service because they wanted some demonstrations,

30 44 9 the Park Service we said okay and what is it that

31 49 22 not doing a service to the community.

32 112 7 go to our web page and also the weather service

33 112 9 service page partly because we offer ways for

34 181 13 service areas. I've only been there for one

35 181 15 weather service for about 15 years. That's

36 225 18 Mark Garrison from ERM. We service the Air

37 226 15 National Weather Service Stations. Then

38

39 Page Ref No. Keyword = "site"

40 _____

41

42 8 24 that you can find on the EPA web site are done by

43 12 14 on the NOAA webs site introduced a final metric

44 15 7 can go on the web site and get that data and do

45 15 22 assembled and get them up on the web site so that

46 15 24 themselves similar to the datum web site and

47 15 25 similar to what Roger has on the web site for

48 17 23 them up on the SCRAM web site. That was 2000 and

49 76 13 SEARCH site pretty closes by showing the

50 76 17 site. It was sited direct within a neighborhood

2

3 Page Ref No. Keyword = "site"

4 _____

5

6 76 24 site. It's not real dramatic terrain features
7 78 16 compared with met SEARCH site and airport site to
8 79 6 light wind. For the SEARCH site you can clearly
9 79 18 the SEARCH site that's matched with the model
10 79 21 site. One of the things that is going on there
11 80 4 Whereas the SEARCH site which is right next
12 83 22 the SEARCH site with the higher roughness.
13 84 2 airport and the SEARCH site didn't seem to be
14 85 3 And also another non standard airport site,
15 85 4 the Texas (inaudible) site, I think we looked at.
16 101 19 you have on site meteorology. But for these
17 114 21 site download and convert that data so that you
18 115 12 web site. Let's look at one briefly. Of course
19 167 17 etc.) as opposed to statistical fits to site
20 176 5 distribution site and the red line is what
21 182 9 Potentially a source for site specific data -
22 183 4 might get some more site specific data but if
23 184 10 site and use some of the cases that are there.
24 184 18 only could get one site so I used this case
25 184 22 data (and on site data). Re-run with NARR (ed.
26 185 2 air site.
27 190 10 tower, a site drawing as you might call it. Now
28 207 8 for met and application site surface
29 207 11 that differences in site surface characteristics
30 207 23 Roger Brode: Technically, if a site
31 212 4 site. And for those of you are interested, AWMA
32 214 7 draft meeting agenda on the agency web site such
33 215 2 on its web site several guidance memoranda that

34

35 Page Ref No. Keyword = "source"

36 _____

37

38 39 18 terrain and also the source location relative to
39 39 19 the Class I analysis and exactly where the source
40 40 15 differenr source - Class I area pairs -- looking
41 51 4 It's a combination of several Open Source
42 51 9 these are available open source and we designed
43 52 23 Then often because R is open source users
44 54 10 open source pretty much free of charge.
45 80 2 monitor from the source that is the closest
46 80 3 source.
47 80 5 to the source the drainage flow is more from the
48 80 12 pulling a different source.
49 81 11 roughness typical of source locations, and
50 81 24 context. Also we looked at the source

2

3 Page Ref No. Keyword = "source"

4

5

6	84	8	The next one is more on the source
7	85	8	results to source characterization options for
8	85	20	source with an initial Sigma Z or volume source
9	86	11	different met data and different source
10	88	9	picked a certain source type, -- you may not be
11	89	11	In Alabama, and these other source types, are
12	89	13	these other source types which drive all these
13	94	11	photochemical models in a more of a single source
14	95	3	CAMx), Plume-in-Grid, Single Source Apportionment
15	95	9	Grid and single Source Apportionment technique
16	98	21	calculations in the meteorology for each source.
17	101	4	PC and Mac executables, and UNIX (LINUX) source.
18	102	5	ensemble, matrix, and source attribution options.
19	111	5	off in the source location but you might be
20	125	8	next part of this which is the Single Source
21	130	6	especially near the source regions and even
22	130	7	further away from the source regions. The
23	130	14	the source region. Even further away it's about
24	130	22	source transport and chemistry of point source
25	135	19	Morris on single source models and photochemical
26	136	6	source modeling and tracking that type of thing.
27	138	9	particular source plume kind of in its own
28	138	18	single source is full state of the science gas-
29	139	7	Source Apportionment tools allow for tracking of
30	139	10	More recently, Source Apportionment tools
31	139	16	single source applications. I'll show some
32	139	17	examples in a minute. Source Apportionment
33	140	3	pretty self explanatory. Source Apportionment
34	140	6	contributions from emissions source groups,
35	140	7	emissions source regions, and initial and
36	140	9	model species for each contributing source.
37	140	21	particular source you would just include
38	141	7	This is an example of ozone source
39	141	12	contribution from a source shown at right and
40	141	14	source apportionment.
41	141	15	This is an example of using Source
42	141	19	estimation from that particular source in each
43	141	21	the source would be located. The photochemical
44	141	23	contribution from that source to ammonium
45	141	25	species. So clearly this particular source has
46	142	5	from a particular source over an entire year.
47	142	12	Issues for using PCM for Single Source
48	143	21	single source modeling with CAMx PSAT to compare
49	143	23	States did single source visibility modeling for
50	145	17	for credible single source modeling with Source

2

3 Page Ref No. Keyword = "source"

4 _____

5

6	146	3	will get more details from Ralph on single source
7	146	17	photo grid models for the single source
8	146	21	seeing now more and more what is my source or are
9	146	23	the contributions of source to the Ozone and
10	147	12	source plume chemistry and dispersion?
11	147	15	the source to resolve near-source plume chemistry
12	147	25	capability for PGM for single source but we do
13	148	5	can specify fine grid to resolve point source
14	148	9	chemistry of point source plumes. Both CMAx and
15	148	10	CMAQ have PM and Ozone Source Apportionment and
16	148	11	allows individual source(s) assessments. Of
17	148	23	point source plumes. Available within the CAMx
18	149	13	PM Source Apportionment so I don't have to talk
19	149	19	in the eastern U.S. Individual point source
20	150	13	areas. Use IRON P-in-G for Texas BART Source.
21	151	5	inconsistent source contributions with 2009 PM2.5
22	151	7	inappropriate for individual point source
23	151	9	treat chemistry and dispersion of point source
24	151	11	point source plume would be computationally
25	151	13	31 zero-out runs to get individual source
26	151	17	chemistry and dispersion. PM Source
27	151	19	individual source contributions.
28	151	25	2009 base case with PSAT PM2.5 source
29	152	14	Here's the source apportionment. The
30	153	6	contributions. The largest single source
31	153	7	contribution is this source right near the
32	153	9	contribution source on a monitor. In this case
33	154	2	"single source" contributions to ozone, PM2.5,
34	154	6	PM source apportionment. Full gas-phase and
35	154	9	source" air quality, visibility and deposition
36	154	11	source PM2.5 assessment. Oil and gas AQ and AQRV
37	154	16	"single source" contributions to ozone, PM2.5,
38	154	20	PM source apportionment. Full gas-phase and
39	154	23	"single source" air quality, visibility and
40	154	25	point source PM2.5 assessment. Oil and gas AQ and
41	155	6	any questions on single source?
42	156	9	modeling single source for Ozone PM2.5 seems to
43	166	7	the pollutant source domain. For most pollutant
44	166	13	characteristics of the pollutant source domain.
45	176	9	questions. The issue is the source region
46	178	11	this is a single source area in Central
47	180	24	can use reanalysis as a source for
48	182	9	Potentially a source for site specific data -
49	183	8	attractive at least in upper air data source
50	186	19	develop and release the Industrial Source [ed.

2

3 Page Ref No. Keyword = "source"

4 _____

5

6	189	21	source characterization study which generally has
7	199	4	some condensing from vapor - source/fuel-
8	199	5	specific. It is emitted directly from a source
9	202	14	source types from EPA's AP-42, SPECIATE, and FIRE
10	203	2	PM2.5 NAAQS Impact: Background + Source Impact.
11	203	4	source impact to peak percentile background,
12	203	8	source impact concentrations. If daily
13	206	24	source. For tall stack, buoyant releases, 1 km
14	216	12	techniques in new source permitting situations to
15	218	10	the evaluation of new source permitting. PM2.5
16	218	20	component. Also, for single source new
17	221	14	the problem at the source. Multi-core processors

18

19 Page Ref No. Keyword = "speed"

20 _____

21

22	55	9	see the distribution and wind speed in your data
23	55	12	mixing ratio, wind speed, wind direction, but
24	56	4	and then (inaudible) and you see the wind speed,
25	63	7	evaluation of low wind speed databases with API
26	64	23	conc vs. downwind distance or wind speed, etc.
27	66	6	dependent on the wind speed as well. When you
28	74	25	into the wind speed issue as Bob Paine mentioned
29	75	11	include sonic anemometer with lower wind speed
30	75	12	stretched so they had lots of light wind speed
31	77	12	lot of light wind speed, upward spike in the
32	89	19	specifically under light wind speed conditions is
33	104	7	like a plume because wind speed and direction
34	104	14	speed shear with height. And that is really
35	120	5	causality effects, low wind speed dispersion,
36	193	8	ran AERMOD for these 3 cases for 1 wind speed.
37	197	12	speed, wind direction, Frequency of light wind
38	204	13	The Low wind speed issues. Modeling of
39	207	3	wind speed issues. Moisture assigned only on an
40	207	25	wind speed threshold is treated the same way as a
41	209	7	handling, low wind speed stagnation, coastal and

42

43 Page Ref No. Keyword = "stack"

44 _____

45

46	40	4	stack is in the valley -- with coarse resolution,
47	40	9	and the peaks are higher so maybe the stack now
48	56	19	specific; stack box plots (inaudible) box plots.
49	57	21	entire year. Stack bar plots, this is more
50	74	10	tall stack or evaluation data base that was used

2

3 Page Ref No. Keyword = "stack"

4 _____

5

6 124 4 •187m power plant stack, rural
 7 127 15 the science treatment of stack plumes at the sub-
 8 189 9 and position that places stack in the correct
 9 193 22 stack height regulation defines nearby terrain
 10 193 23 for the purpose of limiting stack heights. Past
 11 202 16 reviewed stack test data to develop emission
 12 202 22 factors are based on stack test methods known to
 13 206 24 source. For tall stack, buoyant releases, 1 km

14

15 Page Ref No. Keyword = "stacks"

16 _____

17

18 40 6 stacks are no longer below the terrain height.
 19 71 20 of the applications are for tall stacks. For
 20 89 7 scheme of things, this has primarily been stacks,
 21 89 8 elevated stacks. To what degree do we have good
 22 208 22 quality impact from (inaudible) stacks from long

23

24 Page Ref No. Keyword = "statistical"

25 _____

26

27 7 20 such, we believe statistical measures should
 28 9 11 decide to augmented statistical measures focusing
 29 10 21 Draxler et al. (2001). These statistical
 30 10 22 measures are a broad set of statistical measures.
 31 11 14 These are the statistical measures and these
 32 13 23 for this statistical component of it. So that's
 33 34 18 terms of the statistical data. It did marginally
 34 44 5 the arc statistical program and he was plotting
 35 51 7 MYSQL, another one is R a statistical package
 36 52 19 statistical metrics. Diurnal Statistics, Time
 37 67 2 determine the statistical significance of
 38 67 11 then that means the models are not statistically
 39 68 17 they cross zero, they are statistically unbiased
 40 167 9 monitoring data combined with statistical
 41 167 17 etc.) as opposed to statistical fits to site
 42 167 19 statistical models in place of more rigorous
 43 168 2 approving statistical fits.

44

45 Page Ref No. Keyword = "steady state"

46 _____

47

48 7 10 modeling so we use non steady state (inaudible)
 49 160 10 models such as MM5) for both steady state and

2

3 Page Ref No. Keyword = "surface"

4 _____

5

6	71	19	tower data, not just surface data because a lot
7	80	21	Another issue that comes up is surface
8	81	9	assessment was that low surface roughness used to
9	81	18	source surface characteristics of the sources.
10	83	11	data process with surface characteristics using
11	83	25	surface characteristics differences between the
12	84	7	to see due to surface roughness itself.
13	165	24	surface roughness to a 1 km radius of ASOS
14	166	4	by surface roughness of airport property. Better
15	166	10	the surface modeling of the airport roughness.
16	174	5	surface relative humidity (RH). In reality,
17	182	11	standard upper air and surface observations
18	183	25	surface up to 700 mb and above 200 mb. Between
19	184	21	It uses Pittsburgh PA surface and upper air
20	185	17	requirements of surface data for AERMOD.
21	206	20	Sensitivity of modeling to surface
22	206	23	mismatch in surface type between met tower and
23	207	8	for met and application site surface
24	207	11	that differences in site surface characteristics

25

26 Page Ref No. Keyword = "surrogate"

27 _____

28

29	200	20	EPA had a PM10 surrogate policies for compliance
30	218	25	a surrogate. But now with the EPA delegated

31

32 Page Ref No. Keyword = "temperature"

33 _____

34

35	54	23	temperature and the one on the right for wind
36	55	3	different temperature ranges and then a box plot
37	174	10	minimum temperature will overstate SO4 and
38	197	13	speeds, etc., vertical wind and temperature
39	197	14	structure, temperature & relative humidity,

40

41 Page Ref No. Keyword = "terrain"

42 _____

43

44	19	23	good complex terrain to it which would be useful.
45	28	22	that explains why we're not seeing the terrain of
46	35	25	study are updated terrain and land use from old
47	39	9	in CALPUFF such as you resolve the terrain
48	39	18	terrain and also the source location relative to
49	39	23	impacts where the terrain may channel the flow
50	40	5	the terrain may get smoothed so much so that the

2

3 Page Ref No. Keyword = "terrain"

4 _____

5

6 40 6 stacks are no longer below the terrain height.
7 40 14 the effect of terrain resolution from 90
8 40 24 a split of higher and lower terrain resolution.
9 44 10 the terrain causing this or the land use. So I
10 44 13 flattened the terrain so that is was 1 meter
11 44 14 terrain for the single land use. I had all the
12 44 20 terrain and land use were making a difference
13 70 24 complex terrain). Conditions of concern for
14 76 21 This is a terrain plot and it's not very clear
15 76 23 more significant terrain features around the
16 76 24 site. It's not real dramatic terrain features
17 100 6 high resolution terrain it would use that data
18 105 24 (5000). If you don't recognize the terrain this
19 155 9 analysis do you treat terrain elevations of the
20 155 17 as far as the terrain the receptors are at the
21 155 19 receptor if you like. These models are terrain
22 155 22 Joe Scire: There's no terrain
23 155 25 Ralph Morris: Yes, the terrain
24 156 2 (inaudible) so any terrain effects are in the
25 162 22 terrain, short term puff dispersion, chemical
26 163 16 mountainous terrain, such as Wyoming where there
27 165 20 distance limits and whether "complex terrain" is
28 188 23 and Terrain Wake Effects.
29 193 21 Terrain wake effects; currently the GEP
30 193 22 stack height regulation defines nearby terrain
31 193 25 terrain can be significant. Currently this effect
32 194 4 two when terrain wake effect is accounted for
33 194 7 upwind terrain wake effects should be considered.
34 194 9 developed to determine wind up wind terrain and
35 194 13 EPA wind tunnel where they showed these terrain
36 194 25 accounting for upwind terrain wake effects. That
37 198 11 flat, rolling terrain, mountainous, tracer or
38 209 8 air issues. Complex terrain and slow reversal

39

40 Page Ref No. Keyword = "toxics"

41 _____

42

43 132 3 large spatial variability in air toxics
44 137 9 VOC, SOx, PM and toxics and use data science
45 137 12 toxics, and even deposition.
46 140 12 that. There are also some toxics components but

2			
3	Page	Ref No.	Keyword = "tracer"
4	_____	_____	_____
5			
6	7	25	meteorological and tracer databases for
7	8	4	mesoscale tracer studies but there is no one
8	8	23	done on these mesocale tracer studies. The two
9	8	25	the Great Plains Tracer Mesocale Tracer Study and I
10	13	12	model; this is a European tracer experiment and I
11	13	21	the model performed in that particular tracer
12	14	24	mentioned earlier is to assemble a tracer and
13	16	24	assembled tracer database. Then like I said
14	17	2	LRT models for the assembled tracer database to
15	17	20	awaiting any tracer evaluations that had been
16	18	10	these tracer data bases looking at both
17	19	2	The tracer experiments that we have
18	19	3	currently we have the Great Plains Tracer
19	19	5	lot today. Savannah River Laboratory Tracer
20	19	8	the Cross-Appalachian Tracer Experiment but that
21	19	12	Then the European Tracer Experiment which is a
22	20	13	Then that's not a good tracer evaluation to
23	21	14	the Great Plains Mesoscale Tracer Experiment.
24	21	18	perflouorcarbaon tracer releases from Norman, OK
25	26	4	duration and the time that the tracer cloud
26	26	25	placed in the tracer cloud. What we did see here
27	29	19	go back and look at with this tracer evaluation.
28	30	2	tracer experiment and basically this is probably
29	30	3	I call it the granddaddy of all the tracer
30	30	5	tracer experiment we have. This was Europeans
31	30	8	So the European's tracer experiments or ETEX was
32	30	15	two releases of perflouorcarbon (PFC) tracer were
33	34	25	are an insufficient number of tracer experiments
34	35	9	Basically for the Great Plains Tracer
35	36	13	The European Tracer Experiment and as you can
36	43	20	was working on the Great Plains Tracer Experiment
37	44	23	Plains Tracer Study did and that's probably where
38	63	12	tracer studies and short-term intensive studies,
39	63	17	concentrations on tracer arcs that are used for
40	64	13	mixture of tracer experiments and long-term
41	64	24	They are generally used only for tracer
42	65	6	only used for tracer databases.
43	67	18	best suited to tracer databases and is widely
44	69	9	distance. For a particular tracer arc if you
45	73	20	the 1950's. It is an intense tracer study as Bob
46	112	19	km scale we're looking at a tracer experiment we
47	114	8	web all the tracer experiments we have been
48	114	10	those tracer experiments we have run....the first
49	117	23	version 4.9? We've got all these tracer
50	123	14	measurements from three tracer

2

3 Page Ref No. Keyword = "tracer"

4 _____

5

6 143 11 PCMs, evaluate tracer studies. The picture on
 7 143 12 the right was a tracer experiment we just did a
 8 163 21 observations, tracer releases, and PM and
 9 198 11 flat, rolling terrain, mountainous, tracer or
 10 205 6 traffic itself. Review of data from tracer

11

12 Page Ref No. Keyword = "turbulence"

13 _____

14

15 14 10 outdated. We had the new turbulence options; we
 16 18 4 recommend turbulence based dispersion (CALPUFF
 17 18 11 P-G and turbulence options there. Then the final
 18 24 25 turbulence here. I think that's one I mean
 19 25 4 CALPUFF turbulence and the AERMOD turbulence in
 20 25 21 upon which P-G or turbulence we have a little bit
 21 35 5 encouraged with the turbulence in terms of the
 22 82 3 vehicle induced turbulence. Especially for the
 23 102 7 staggered WRF grids, turbulence ensemble, urban
 24 104 16 kind of turbulence on this it would have a minor
 25 107 14 from the turbulence from the previous time step,
 26 107 19 in proportion to the turbulence that comes out of
 27 108 6 had stationary homogeneous turbulence. You're
 28 118 8 turbulence already in existing version and
 29 120 10 inhomogeneous (convective) turbulence. They are
 30 122 6 of turbulence. The tendency of neighboring puffs
 31 127 10 treatment of effect of atmospheric turbulence on
 32 205 5 turbulence and low wind speeds generated by

33

34 Page Ref No. Keyword = "urban"

35 _____

36

37 19 21 on. The other one is the VTMX where the urban
 38 63 3 colleague here has done an urban evaluation and
 39 84 4 is right in the urban options so the urban
 40 102 7 staggered WRF grids, turbulence ensemble, urban
 41 136 17 photochemical models like urban REMSAD models.
 42 165 17 algorithms for use in urban areas, especially for
 43 204 15 small urban areas. Need for post-processor to
 44 205 12 Nocturnal urban mixing height (Ziu) is a
 45 218 17 nonattainment areas are urban areas where,

2

3 Page Ref No. Keyword = "variability"

4 _____

5

6 120 3 variably of accounting for spatial variability of
 7 120 7 variability in dispersion rates, etc. Lagrangian
 8 125 17 capture fine scale variability next to emissions
 9 125 21 cannot capture the subgrid-scale variability that
 10 126 21 captures the local scale variability and the grid
 11 132 3 large spatial variability in air toxics
 12 132 7 subgrid-scale variability in exposure levels.
 13 155 11 is do you treat any wind variability within the
 14 155 23 variability in the cell? That's my question

15

16 Page Ref No. Keyword = "weather"

17 _____

18

19 111 2 the large scale weather patterns at the frontal
 20 112 7 go to our web page and also the weather service
 21 112 8 page. Our page is better than the weather
 22 112 10 verification whereas the weather page only shows
 23 181 15 weather service for about 15 years. That's
 24 183 10 weather and technical geek, let me see if I can
 25 226 15 National Weather Service Stations. Then

26

27 Page Ref No. Keyword = "wind"

28 _____

29

30 18 15 is very sensitive to wind field (inaudible) you
 31 26 24 seeing that in terms of where the wind shield was
 32 28 20 appears that the wind field was steering it 1
 33 29 21 CALMET wind fields from the previous one. I
 34 32 10 gets into this area up here we start with wind
 35 33 8 getting caught up in the deforming wind field the
 36 54 18 to the met side includes Rawindsonde, Wind
 37 54 23 temperature and the one on the right for wind
 38 55 7 generated. And similarly on the wind direction
 39 55 8 side in the wind direction plots where you can
 40 55 9 see the distribution and wind speed in your data
 41 55 12 mixing ratio, wind speed, wind direction, but
 42 55 21 would also be to window this down to other
 43 56 3 This is a wind profiler comparison over time
 44 56 4 and then (inaudible) and you see the wind speed,
 45 56 6 you have wind profile information,. a nice plot.
 46 63 7 evaluation of low wind speed databases with API
 47 64 23 conc vs. downwind distance or wind speed, etc.
 48 66 6 dependent on the wind speed as well. When you
 49 69 10 have a cross wind concentration like this you
 50 71 14 understanding of the Low Level Jet and the wind

2

3 Page Ref No. Keyword = "wind"

4

5

6	71	24	wind energy assessment towers that are available
7	74	25	into the wind speed issue as Bob Paine mentioned
8	75	11	include sonic anemometer with lower wind speed
9	75	12	stretched so they had lots of light wind speed
10	77	12	lot of light wind speed, upward spike in the
11	77	25	light wind conditions. There may be some
12	78	4	pretty clear pattern as the light wind speeds go
13	78	15	data. Just looking at the wind direction
14	78	20	that the SEARCH wind directions were offset by
15	79	6	light wind. For the SEARCH site you can clearly
16	79	7	see low wind, drainage flow, showing up under
17	79	10	West direction would be the typical light wind,
18	80	15	wind conditions? It's not a clear answer one way
19	84	20	ASOS wind data to reduce the number of calms,
20	89	19	specifically under light wind speed conditions is
21	89	23	wind stable wind conditions. One reason for that
22	103	21	cloud when the wind field varies in space and
23	104	7	like a plume because wind speed and direction
24	104	11	wind coming out of the East (inaudible). And so
25	104	13	is a result of the wind direction shear and wind
26	112	3	that had a high wind velocity.
27	120	5	causality effects, low wind speed dispersion,
28	124	15	wind integrated concentration (CIC). Very
29	127	9	no treatment of wind shear or plume overlaps, no
30	146	10	more about the regional or further down wind a
31	155	11	is do you treat any wind variability within the
32	155	13	Ralph Morris: No just using the wind
33	155	15	whether it's a gridded wind field or (inaudible).
34	156	3	wind fields that come out of MM5.
35	160	5	topography, wind persistence data and land use
36	166	6	wind observations to the land characteristics of
37	166	12	the airport wind observation to the land
38	183	14	creating wind roses and finding out how many
39	189	16	aspect ratios. Use of wind tunnel testing to
40	190	12	wind residential tower to go in to the model.
41	190	18	wind tunnel to determine the shape that would
42	193	7	diagonals of wind. Now I have some input and I
43	193	8	ran AERMOD for these 3 cases for 1 wind speed.
44	193	13	wind tunnel so I will show you what
45	193	14	concentrations looked like in the wind tunnel.
46	194	9	developed to determine wind up wind terrain and
47	194	13	EPA wind tunnel where they showed these terrain
48	196	6	change the wind data. It's exactly as it came
49	196	14	output of MM5 converted to wind rose software.
50	197	11	Evaluate all meteorological variables. Wind

2

3 Page Ref No. Keyword = "wind"

4 _____

5

6 197 12 speed, wind direction, Frequency of light wind
 7 197 13 speeds, etc., vertical wind and temperature
 8 204 13 The Low wind speed issues. Modeling of
 9 204 20 AERMOD impacts occur for very low wind speeds,
 10 204 25 hours with very low wind speeds. AERMOD needs
 11 205 5 turbulence and low wind speeds generated by
 12 207 3 wind speed issues. Moisture assigned only on an
 13 207 25 wind speed threshold is treated the same way as a
 14 209 7 handling, low wind speed stagnation, coastal and
 15 210 25 is a long hour and a lot of wind speeds in most
 16 226 11 approach which is to extract wind profiles from
 17 226 21 comparing the prognostic model derived wind

18

19 Page Ref No. Keyword = "wind speed"

20 _____

21

22 55 9 see the distribution and wind speed in your data
 23 55 12 mixing ratio, wind speed, wind direction, but
 24 56 4 and then (inaudible) and you see the wind speed,
 25 63 7 evaluation of low wind speed databases with API
 26 64 23 conc vs. downwind distance or wind speed, etc.
 27 66 6 dependent on the wind speed as well. When you
 28 74 25 into the wind speed issue as Bob Paine mentioned
 29 75 11 include sonic anemometer with lower wind speed
 30 75 12 stretched so they had lots of light wind speed
 31 77 12 lot of light wind speed, upward spike in the
 32 89 19 specifically under light wind speed conditions is
 33 104 7 like a plume because wind speed and direction
 34 120 5 causality effects, low wind speed dispersion,
 35 193 8 ran AERMOD for these 3 cases for 1 wind speed.
 36 204 13 The Low wind speed issues. Modeling of
 37 207 3 wind speed issues. Moisture assigned only on an
 38 207 25 wind speed threshold is treated the same way as a
 39 209 7 handling, low wind speed stagnation, coastal and

40

41 Page Ref No. Keyword = "wind speeds"

42 _____

43

44 78 4 pretty clear pattern as the light wind speeds go
 45 204 20 AERMOD impacts occur for very low wind speeds,
 46 204 25 hours with very low wind speeds. AERMOD needs
 47 205 5 turbulence and low wind speeds generated by
 48 210 25 is a long hour and a lot of wind speeds in most

2

3 Page Ref No. Keyword = "winds"

4 _____

5

6	25	14	You can see here the CALMET winds did very
7	25	16	better than the MM5 winds in terms of the arrival
8	27	2	is that when we were feeding the MM5 only winds
9	27	12	where the MM5 winds did markedly better than
10	27	20	the MM5 winds were doing slightly better, but you
11	27	21	can see the MM5 winds have it displaced more
12	70	25	dispersion modeling are how often are the winds
13	77	20	variable winds we are looking at 25 or 30% of the
14	77	21	data period missing either to calms or winds.
15	79	23	light winds conditions that show up at the
16	165	15	incorporate algorithms for near calm winds and
17	211	7	method to define precisely when complex winds
18	211	11	winds. But I think the answer is in the
19	211	12	definition of complex winds.

20

21 Page Ref No. Keyword = "work group"

22 _____

23

24	210	5	AWMA supports an independent work group for
----	-----	---	---

25

26

27

28

29

30

31

32

33

34

35

36

37

38

39

40

41

42

43

44

45

46

47

48

49

50